

In The Matter Of:

*Application of NTE Connecticut, LLC for a Certificate
of Environmental Compatibility and Public Need*

*Continued Public Hearing
November 03, 2016*

*BCT Reporting LLC
PO Box 1774
Bristol, CT 06010
860.302.1876*

1 STATE OF CONNECTICUT
2 CONNECTICUT SITING COUNCIL

3
4 Docket No. 470

5 Application of NTE Connecticut, LLC for a
6 Certificate of Environmental Compatibility and
7 Public Need for the Construction, Maintenance and
8 Operation of a 550-megawatt Dual-Fuel Combined
9 Cycle Electric Generating Facility and Associated
10 Electrical Interconnection Switchyard Located at
11 180 and 189 Lake Road, Killingly, Connecticut

12
13
14 Continued Public Hearing held at the
15 Connecticut Siting Council, Ten Franklin Square,
16 New Britain, Connecticut, Thursday, November 3,
17 2016, beginning at 11:02 a.m.

18
19
20
21 H e l d B e f o r e :

22 ROBERT STEIN, Chairman
23
24
25

1 A p p e a r a n c e s :

2 Council Members:

3 SENATOR JAMES J. MURPHY, JR.,

4 Vice Chairman

5 PHILIP T. ASHTON

6 ROBERT HANNON

7 MICHAEL HARDER

8 DR. MICHAEL W. KLEMENS

9 LARRY P. LEVESQUE, ESQ.

10 ROBERT SILVESTRI

11 Council Staff:

12 MELANIE BACHMAN, ESQ.

13 Executive Director and

14 Staff Attorney

15 MICHAEL PERRONE

16 Siting Analyst

17

18 For NTE Connecticut, LLC:

19 ROBINSON & COLE LLP

20 280 Trumbull Street

21 Hartford, Connecticut 06103

22 BY: KENNETH C. BALDWIN, ESQ.

23 EARL W. PHILLIPS, JR., ESQ.

24 JAMES RAY, ESQ.

25

1 A p p e a r a n c e s : (Cont'd.)

2

3 For Not Another Power Plant and the Wyndham
4 Land Trust:

5 REID AND RIEGE, P.C.

6 One Financial Center

7 Hartford, Connecticut 06103

8 BY: MARY MINTEL MILLER, ESQ.

9 JOHN BASHAW, ESQ.

10

11 Town of Killingly:

12 SEAN HENDRICKS, Town Manager

13 Town of Killingly

14 172 Main Street

15 Killingly, Connecticut 06239

16

17 For the Sierra Club, Connecticut Chapter:

18 SIERRA CLUB

19 50 F Street N.W.

20 Washington, D.C. 20001

21 BY: JOSHUA BERMAN, ESQ.

22

23

24

25

1 A p p e a r a n c e s : (Cont'd.)

2

3 For the Connecticut Fund for the Environment:

4 CONNECTICUT FUND FOR THE ENVIRONMENT

5 900 Chapel Street

6 Upper Mezzanine

7 New Haven, Connecticut 06510

8 BY: JOHN LOONEY, ESQ.

9 ROGER REYNOLDS, ESQ.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 THE CHAIRMAN: Good morning, ladies and
2 gentlemen. I'd like to call to order this meeting
3 of the Connecticut Siting Siting Council today,
4 Thursday, November 3, 2016, at approximately 11
5 a.m. My name is Robin Stein. I'm Chairman of the
6 Siting Siting Council.

7 This evidentiary hearing is a
8 continuation of a public hearing held on October
9 20, 2016 at the Killingly High School Auditorium
10 in Killingly. It is held pursuant to the
11 provisions of Title 16 of the Connecticut General
12 Statutes and of the Uniform Administrative
13 Procedure Act upon an application from NTE
14 Connecticut, LLC for a Certificate of
15 Environmental Compatibility and Public Need for
16 the Construction Maintenance and Operation of a
17 550-megawatt Dual-fuel Combined Cycle Electric
18 Generating Facility and associated electrical
19 interconnection switchyard located at 180 and 189
20 Lake Road in Killingly, Connecticut. The
21 application was received by the Council on August
22 17, 2016.

23 A verbatim transcript will be made of
24 this hearing and deposited with the Town Clerk's
25 Offices in Killingly, Pomfret and Putnam Town

1 Halls for the convenience of the public.

2 We will proceed in accordance with the
3 prepared agenda, copies of which are available by
4 the door.

5 The first item is a request to make the
6 Sierra Club a party and CEPA intervenor in this
7 proceeding. I'll ask our Executive Director and
8 Attorney Melanie Bachman to comment.

9 MS. BACHMAN: Thank you, Mr. Chairman.
10 With regard to the request for party status and
11 CEPA intervenor status for the Sierra Club, I have
12 a three-part recommendation.

13 The first recommendation is that the
14 Sierra Club's request be granted with the
15 condition that the Sierra Club's attorney submit
16 an application to the Council with copies to the
17 service list for this proceeding on or before
18 December 30, 2016 for an attorney who's not
19 licensed in the State of Connecticut to
20 participate in this state agency proceeding in
21 compliance with the revisions that were made to
22 the pro hac vice rule which translates to "for
23 this occasion only" under Section 2-16 of the
24 Superior Court Rules. It takes effect in January
25 of 2017. And in the alternative, the Sierra Club

1 may submit a written description as to why this
2 rule does not apply to them.

3 The second part is to group the Sierra
4 Club with Not Another Power Plant under
5 Connecticut General Statute 16-50n, Subsection (c)
6 on the basis that page 5 of the request indicates
7 that the Sierra Club does plan to join the expert
8 testimony of Not Another Power Plant. And finally
9 designating December 8, 2016 as the prefile
10 testimony deadline for the Sierra Club.

11 THE CHAIRMAN: The Chair will entertain
12 a motion.

13 SENATOR MURPHY: Mr. Chairman, I'll
14 move that we grant the motion, subject to the
15 conditions enumerated by Attorney Melanie Bachman
16 of the Council to comply with the Superior Court
17 Procedures and that they be grouped.

18 THE CHAIRMAN: The Chairman will
19 entertain a second.

20 DR. KLEMENS: I'll second that,
21 Mr. Chairman.

22 THE CHAIRMAN: Any discussion?

23 (No response.)

24 THE CHAIRMAN: All those in favor,
25 signify by saying aye.

1 THE COUNCIL: Aye.

2 THE CHAIRMAN: Opposed? Abstention?

3 (No response.)

4 THE CHAIRMAN: The motion carries.

5 I also have a request from the Sierra
6 Club for preliminary prefiled administrative
7 notice items.

8 And again, Attorney Bachman may wish to
9 comment.

10 MS. BACHMAN: Thank you, Mr. Chairman.
11 Staff recommends granting the Sierra Club's
12 request for the administrative notice of two
13 Connecticut Department of Energy and Environmental
14 Protection reports, and the Siting Council's
15 decision in orders in Dockets 192B and Petition
16 1218.

17 THE CHAIRMAN: The Chair will entertain
18 a motion.

19 SENATOR MURPHY: I'll move to approve
20 the Sierra Club's request for administrative
21 notice by the Council of the items enumerated in
22 their application.

23 MR. HARDER: Second.

24 THE CHAIRMAN: Second.

25 Discussion?

1 (No response.)

2 THE CHAIRMAN: All those in favor,
3 signify by saying aye.

4 THE COUNCIL: Aye.

5 THE CHAIRMAN: Opposed? Abstention?

6 (No response.)

7 THE CHAIRMAN: Motion carries.

8 Item number 3. We have a request to
9 make the Connecticut Fund for the Environment a
10 party in the proceeding.

11 Attorney Bachman may wish to comment.

12 MS. BACHMAN: Thank you, Mr. Chairman.
13 We recommend that the Connecticut Fund for the
14 Environment's request for party status be granted,
15 and designating December 8, 2016 as the prefile
16 testimony deadline.

17 THE CHAIRMAN: The Chair will entertain
18 a motion.

19 MR. HARDER: Move approval.

20 SENATOR MURPHY: Second.

21 THE CHAIRMAN: I have a motion to
22 second.

23 All those in favor, signify by saying
24 aye.

25 THE COUNCIL: Aye.

1 THE CHAIRMAN: Opposed? Abstention?

2 (No response.)

3 THE CHAIRMAN: The motion carries.

4 Item 4. I have a motion from
5 Connecticut Fund for the Environment to dismiss
6 with a memorandum of law in support. NTE
7 Connecticut, LLC filed an objection to the
8 Connecticut Fund for the Environment's motion.

9 Attorney Bachman, please comment.

10 MS. BACHMAN: Thank you, Mr. Chairman.
11 Staff recommends that the Connecticut Fund for the
12 Environment's motion to dismiss be denied on the
13 basis that this Council deemed the application
14 complete on September 15, 2016. And the
15 feasibility of all the interconnections, the gas
16 pipeline, the water connection and the
17 transmission line interconnection will be explored
18 during these proceedings.

19 THE CHAIRMAN: The Chair will entertain
20 a motion.

21 DR. KLEMENS: I move to dismiss based
22 on the reasons stated and the fact that we can
23 review these issues as part of this proceeding.

24 THE CHAIRMAN: Is there a second?

25 SENATOR MURPHY: The motion --

1 MR. HARDER: Can I ask a question for
2 clarification? The recommendation was to dismiss.
3 Is that to dismiss the application or to deny the
4 motion?

5 MS. BACHMAN: The recommendation was to
6 deny the motion.

7 SENATOR MURPHY: I'll second the
8 motion, assuming you meant to say "deny" the
9 motion instead of "dismiss" it.

10 DR. KLEMENS: That's what I meant.
11 Excuse me. I read "dismiss."

12 Deny for the reasons I stated that I
13 believe we can look at these as part of this
14 proceeding. My apologies.

15 THE CHAIRMAN: We have a motion to
16 deny, a second.

17 All those in favor signify by saying
18 aye?

19 THE COUNCIL: Aye.

20 THE CHAIRMAN: Opposed? Abstention?
21 (No response.)

22 THE CHAIRMAN: Motion carries.

23 Item 5, a request to make Wyndham Land
24 Trust, Inc. a party and CEPA intervenor in this
25 proceeding.

1 Attorney Bachman.

2 MS. BACHMAN: Thank you, Mr. Chairman.
3 Staff recommends that the Wyndham Land Trust
4 request be granted, grouping the Wyndham Land
5 Trust with Not Another Power Plant on the basis
6 that Attorney Bashaw represents both entities and
7 has similar interests in these proceedings and
8 also designating December 8, 2016 as the prefile
9 testimony deadline for Wyndham Land Trust.

10 THE CHAIRMAN: The Chair will entertain
11 a motion.

12 SENATOR MURPHY: I'll move approval
13 that they be grouped as enumerated and December
14 8th be the date for prefile testimony.

15 MR. HANNON: Second.

16 THE CHAIRMAN: Motion, second.

17 Discussion?

18 (No response.)

19 THE CHAIRMAN: All those in favor
20 signify by saying aye.

21 THE COUNCIL: Aye.

22 THE CHAIRMAN: Opposed? Abstention?

23 (No response.)

24 THE CHAIRMAN: Motion carries.

25 Item 6. I have a motion for protective

1 order filed by NTE Connecticut, LLC in regard to
2 responses 1, 3, 4, 5, 8, 10 and 11 to Not Another
3 Power Plant interrogatories, dated October 27,
4 2016.

5 And Attorney Bachman, please comment.

6 MS. BACHMAN: Thank you, Mr. Chairman.
7 Staff recommends that NTE's motion be granted on
8 the basis that the input parameters that were
9 utilized by their third-party expert, PA
10 Consulting, are confidential and proprietary to
11 the third-party. It's exempt from disclosure
12 under the Freedom of Information Act.

13 This is consistent with the Council's
14 treatment of other third-party consultant input
15 parameters as being confidential and proprietary
16 and exempt from disclosure under the Freedom of
17 Information Act. We've done this in several of
18 our transmission line applications, including
19 Docket 370, for London Economics International
20 modeled price data information, and Eversource's
21 cost estimate data in Docket 424.

22 It should be noted, Mr. Chairman, that
23 Not Another Power Plant does not object to the
24 motion for protective order.

25 SENATOR MURPHY: I'll move approval,

1 Mr. Chairman.

2 MR. HANNON: Second.

3 THE CHAIRMAN: I have a motion and
4 second.

5 Any discussion?

6 (No response.)

7 THE CHAIRMAN: All those in favor,
8 signify by saying aye?

9 THE COUNCIL: Aye.

10 THE CHAIRMAN: Opposed? Abstention?

11 (No response.)

12 THE CHAIRMAN: Motion carries.

13 Item Number 7. We have an appeal of
14 the Municipal Regulate and Restrict Orders filed
15 by NTE Connecticut, LLC.

16 Again, Attorney Bachman may wish to
17 comment.

18 MS. BACHMAN: Thank you, Mr. Chairman.
19 Staff recommends that NTE's appeal of and
20 responses the town Regulate and Restrict Orders
21 under Connecticut General Statute Section 16-50x
22 be incorporated into the proceedings, held on this
23 application, as is consistent with Council
24 practice in past dockets, including Docket 192 for
25 Towantic and Docket 225 for Clean Energy.

1 SENATOR MURPHY: I'll move to approve
2 to incorporate it into our procedure, as we've
3 done in the past, Mr. Chairman.

4 MR. HANNON: I'll second.

5 THE CHAIRMAN: Any discussion?

6 (No response.)

7 THE CHAIRMAN: All those in favor
8 signify by saying aye.

9 THE COUNCIL: Aye.

10 THE CHAIRMAN: Opposed? Abstention?

11 (No response.)

12 THE CHAIRMAN: Motion carries.

13 We have a request from Not Another
14 Power Plant for clarification regarding the
15 November 3, 2016 evidentiary hearing procedures.

16 Attorney Bachman may wish to comment.

17 MS. BACHMAN: Thank you, Mr. Chairman.

18 In the request Not Another Power Plant seeks
19 clarification as to the following questions:

20 The first is "Will all pending
21 petitions and other motions be addressed prior to
22 the beginning of the evidentiary hearing on
23 November 3rd?" The answer is yes.

24 The second question is, "In the absence
25 of prefile testimony from the applicant, how will

1 cross-examination proceed as there is only a list
2 of witnesses with resumes and no indication
3 regarding what testimony is to be provided by each
4 person?" Submission of prefile testimony is not a
5 requirement under our regulations. It's at the
6 discretion of party, intervenor or applicant. NTE
7 has provided us with a list of 14 witnesses and
8 their responsibilities relative to the development
9 of the application. And certainly any question
10 that is posed by any party or intervenor during
11 the course of these proceedings will be answered
12 by the appropriate witness.

13 The third question is, "Will entities
14 that filed a request for party status be provided
15 an opportunity to submit interrogatories to NTE
16 and cross-examine NTE at the November 15th
17 hearing?" The answer is yes. Interrogatories are
18 to be submitted on or before December 1, 2016,
19 consistent with the Council's revised schedule.
20 And the prefile testimony deadline shall be
21 December 8th. Furthermore, all of the new parties
22 will have an opportunity to cross-examine NTE, not
23 only at the November 15th evidentiary hearing but
24 any subsequent hearing held thereafter.

25 The final question was, "For

1 cross-examination on the unredacted interrogatory
2 responses, will NTE be required to make witnesses
3 available at a later date?" The answer is yes.
4 If any party requests to cross-examine NTE on the
5 unredacted responses, Not Another Power Plant's
6 interrogatories Numbers 1, 3, 4, 5, 8, 10 and 11,
7 this Council will schedule a closed proceeding at
8 a later date when parties may cross-examine NTE
9 limited to the unredacted responses and subject to
10 the protective order and nondisclosure agreement.

11 I don't believe we really need to take
12 action on this, just a clarification,
13 Mr. Chairman.

14 THE CHAIRMAN: Thank you.

15 Number 9. We have a motion from Not
16 Another Power Plant for stay and/or to dismiss the
17 application of NTE Connecticut, LLC. NTE
18 Connecticut, LLC has filed an objection to this
19 motion.

20 Again, Attorney Bachman may wish to
21 comment.

22 MS. BACHMAN: Thank you, Mr. Chairman
23 Staff recommends that Not Another Power Plant's
24 motion for stay and/or to dismiss the application
25 be denied on the basis that the application was

1 deemed complete by this Council on September 15,
2 2016, and the feasibility of all of the
3 interconnections, including the gas pipeline, the
4 electric transmission line, and the water will be
5 explored during the course of these proceedings.

6 THE CHAIRMAN: The Chair will entertain
7 a motion.

8 DR. KLEMENS: Move denial of NAPP's
9 request.

10 SENATOR MURPHY: Second.

11 THE CHAIRMAN: I have a motion and
12 second.

13 Any discussion?

14 (No response.)

15 THE CHAIRMAN: All those in favor,
16 signify by saying aye.

17 THE COUNCIL: Aye.

18 THE CHAIRMAN: Opposed? Abstention?

19 (No response.)

20 THE CHAIRMAN: The motion carries.

21 Item number 10. I have a motion from
22 NAPP to further extend the prefile testimony
23 deadline of NAPP's energy needs expert.

24 Attorney Bachman may wish to comment.

25 MS. BACHMAN: Thank you, Mr. Chairman.

1 Staff recommends that NAPP's motion for a one-week
2 extension to submit Mr. Fagan's prefile testimony
3 be granted with a new deadline by the close of
4 business on Tuesday, November 15th.

5 SENATOR MURPHY: I'll move approval to
6 extend the deadline to November 15th close of
7 business.

8 MR. HANNON: Second.

9 THE CHAIRMAN: All those in favor,
10 signify by saying aye.

11 THE COUNCIL: Aye.

12 MR. BALDWIN: Mr. Chairman, could I
13 just be heard for a moment on that request?
14 Attorney Bashaw and I did correspond last evening.
15 I have copies, pursuant to the Council's approval
16 of our protective order in Item 6 under the
17 motions. I did bring copies of all the
18 information that was requested with me today and
19 the signature pages so that if the folks who want
20 that information can sign the nondisclosure
21 agreement today, along with the protective order,
22 we'll hand them the information today, I think
23 obviating the need for the additional time that
24 was requested.

25 The concern I have is that the

1 additional delay is putting us all into a position
2 where everything keeps getting pushed out, and
3 we're trying to keep as much as possible to the
4 existing schedule. Again, I do have that
5 information available for the parties as long as
6 they sign the nondisclosure agreement today. I'm
7 happy to give it to them a week from today, which
8 would put Mr. Fagan's testimony at least scheduled
9 to be submitted a week from today, which is still
10 two days later than previously proposed. I think
11 every day counts at this point. Thank you.

12 THE CHAIRMAN: Thank you. We all want
13 to keep to a schedule, but this is going to have
14 to go through a process. We do have a -- unless
15 the person who made the motion wants to withdraw
16 it, I think we should just go ahead.

17 SENATOR MURPHY: I'm going to leave the
18 motion on the table. I'd rather be listening to
19 election results for the first five days. We
20 probably won't get to it.

21 THE CHAIRMAN: So, again, we have a
22 motion and second.

23 All those in favor, signify by saying
24 aye.

25 THE COUNCIL: Aye.

1 Opposed? abstention?

2 (No response.)

3 THE CHAIRMAN: The motion carries.

4 I wish to call your attention to those
5 items shown on the hearing program marked as Roman
6 Numeral I.D., Items 1-103.

7 Does the applicant or any party or
8 intervenor have any objection to the items that
9 the Council has administratively noticed?

10 MR. BALDWIN: No objection, Mr.
11 Chairman.

12 THE CHAIRMAN: Hearing and seeing none,
13 the Council hereby administratively notices these
14 existing documents, statements and comments.

15 We'll now go to the appearance of the
16 applicant, NTE Connecticut, LLC, and the first
17 part of that, the swearing in of your witnesses,
18 Attorney Baldwin.

19 MR. BALDWIN: Good morning,
20 Mr. Chairman, members of the Council. Kenneth
21 Baldwin with Robinson & Cole on behalf of the
22 Applicant, NTE Connecticut, LLC. With me today
23 are my partners Earl Phillips to my left and Jim
24 Ray who's seated in the gallery.

25 We have a list of 14 witnesses to

1 present to the Council today. They are included
2 in the hearing program, but if I could just make
3 some brief introductions. There's many new faces
4 to the Council.

5 First from NTE, Mr. Mark Mirabito, vice
6 president of NTE Connecticut, LLC; Mr. Tim Eves, a
7 senior vice president with NTE Energy Services
8 Company; Michael Bradley, a senior vice president
9 with NTE Energy Services Company; Chris Rega,
10 senior vice president with NTE Energy Services
11 Company -- Mr. Rega is responsible for power plant
12 engineering and construction -- Lynn Gresock, the
13 vice president of the energy department at Tetra
14 Tech, along with Fred Sellars, a vice president
15 with Tetra Tech. You may remember Ms. Gresock and
16 Mr. Sellars from recent proceedings before the
17 Council.

18 Between Ms. Gresock and Mr. Sellars is
19 George Logan, the principal environmental
20 scientist and senior ecologist with REMA
21 Ecological Services. To my right is Mr. Norm
22 Thibeault, principal and a partner in the firm of
23 Killingly Engineering Associates. Mr. Thibeault
24 was responsible for all site civil engineering,
25 along with Jim Walsh. Mr. Walsh is a project

1 manager and supervising engineering with Mott
2 McDonald.

3 Seated in the back row are Mr. Kevin
4 Fowler, a senior acoustics engineer with Tetra
5 Tech; Gary Fuerstenberg, a senior project manager
6 and senior geotechnical engineer with Haley and
7 Aldridge; Scott Hesketh who's manager of
8 transportation engineering with FA Hesketh
9 Associates.

10 Did I get everybody?

11 Ethan Paterno and Mason Smith with PA
12 Consulting. They are responsible for the economic
13 benefits and needs analyses that are included in
14 the application. It's a large panel, I
15 understand, but thank you for that. I offer them
16 at this time to be sworn.

17 M A R K M I R A B I T O,

18 T I M E V E S,

19 M I C H A E L B R A D L E Y,

20 C H R I S R E G A,

21 L Y N N G R E S O C K,

22 F R E D E R I C K S E L L A R S,

23 N O R M T H I B E A U L T,

24 G E O R G E L O G A N,

25 E T H A N P A T E R N O,

1 M A S O N S M I T H,
2 S C O T T H E S K E T H,
3 G A R Y F U E R S T E N B E R G,
4 J A M E S W A L S H,
5 K E V I N F O W L E R,

6 called as witnesses, being first duly sworn
7 by Ms. Bachman, were examined and testified
8 on their oaths as follows:

9 MR. BALDWIN: Mr. Chairman, we have 17
10 exhibits listed in the hearing program under
11 section Roman II-B. We also brought with us today
12 a copy of what we'll call NTE's Exhibit 18, which
13 is I think in front of you. It's a November 2nd
14 memo and attached filing that Tetra Tech made to
15 the Connecticut Department of Energy and
16 Environmental Protection. It's a memo to a
17 gentleman named James Grillo. And if I could just
18 ask Ms. Gresock to briefly describe what that is
19 before we go forward with the verification.

20 THE WITNESS (Gresock): The memorandum
21 provides updates to the air dispersion modeling
22 results previously presented in the application to
23 demonstrate that the findings are unchanged based
24 on the minor changes in the site layout and also
25 reflecting some emissions reductions that are the

1 result of the ongoing technical review with the
2 department.

3 MR. BALDWIN: Thank you.

4 Mr. Chairman, absent any objection by
5 the Council members or any of the parties and
6 intervenors and for the sake of convenience of the
7 proceeding, I'd like to have our panel of
8 witnesses verify the exhibits as a panel, as I
9 typically do in proceedings that I'm involved
10 with. As stated earlier, in Ms. Bachman's
11 statements, we have a vast number of witnesses who
12 are well versed in all of the areas of expertise
13 regarding this application and will be responding
14 to questions from the Council in their areas of
15 expertise.

16 That said, I'd like to have the items
17 listed in the hearing program under Roman II-B,
18 Items 1 through now 18 on behalf of NTE, offered
19 for identification purposes, subject to
20 verification.

21 DIRECT EXAMINATION

22 MR. BALDWIN: To my witnesses, did you
23 prepare, assist in, or supervise in the
24 preparation of the exhibits listed in the hearing
25 program as NTE Items 1 through 18?

1 Mr. Sellars.
2 THE WITNESS (Sellars): Yes, I did.
3 MR. BALDWIN: Mr. Logan.
4 THE WITNESS (Logan): Yes, I did.
5 MR. BALDWIN: Ms. Gresock.
6 THE WITNESS (Gresock): Yes, I did.
7 MR. BALDWIN: Mr. Mirabito.
8 THE WITNESS (Mirabito): Yes, I did.
9 MR. BALDWIN: Mr. Eves.
10 THE WITNESS (Eves): Yes, I did.
11 MR. BALDWIN: Mr. Bradley.
12 THE WITNESS (Bradley): Yes, I did.
13 MR. BALDWIN: Mr. Rega.
14 THE WITNESS (Rega): Yes, I did.
15 MR. BALDWIN: Mr. Thibeault.
16 THE WITNESS (Thibeault): Yes, I did.
17 MR. BALDWIN: Mr. Walsh.
18 THE WITNESS (Walsh): Yes, I did.
19 MR. BALDWIN: Mr. Hesketh.
20 THE WITNESS (Hesketh): Yes, I did.
21 MR. BALDWIN: Mr. Paterno.
22 THE WITNESS (Paterno): Yes, I did.
23 MR. BALDWIN: Mr. Smith.
24 THE WITNESS (Smith): Yes, I did.
25 MR. BALDWIN: Mr. Fowler.

1 THE WITNESS (Fowler): Yes, I did.

2 MR. BALDWIN: Mr. Fuerstenberg.

3 THE WITNESS (Fuerstenberg): Yes, I
4 did.

5 MR. BALDWIN: Do you have any
6 corrections, modifications or revisions to offer
7 to any of those exhibits at this time?

8 Mr. Sellers.

9 THE WITNESS (Sellers): No, I do not.

10 MR. BALDWIN: Mr. Logan.

11 THE WITNESS (Logan): I do not.

12 MR. BALDWIN: Ms. Gresock.

13 THE WITNESS (Gresock): I have one
14 correction to Exhibit 15. Exhibit 4 attached to
15 that exhibit is an updated noise modeling
16 memorandum. In that exhibit there is text that
17 states that only one change in sound attenuation
18 of the items listed on page 4 onto page 5 are new
19 in this memo. While that's true that in terms of
20 what we have added, that statement is correct.
21 The demineralized water pumps being located within
22 a building is not something that was reflected in
23 the original sound modeling analysis. That was
24 not a change that was made in order to apply
25 attenuation, but it is a change that just happened

1 relative to the engineering adjustments that have
2 been made. So that demineralized water pump is
3 now located in the water treatment building and is
4 a change from the prior noise study.

5 MR. BALDWIN: Anything further?

6 THE WITNESS (Gresock): Nothing
7 further. Thank you.

8 MR. BALDWIN: Mr. Mirabito?

9 THE WITNESS (Mirabito): No changes.

10 MR. BALDWIN: Mr. Eves.

11 THE WITNESS (Eves): No changes.

12 MR. BALDWIN: Mr. Bradley.

13 THE WITNESS (Bradley): No changes.

14 MR. BALDWIN: Mr. Rega.

15 THE WITNESS (Rega): No changes.

16 MR. BALDWIN: Mr. Thibeault.

17 THE WITNESS (Thibeault): No changes.

18 MR. BALDWIN: Mr. Walsh.

19 THE WITNESS (Walsh): No changes.

20 MR. BALDWIN: Mr. Hesketh.

21 THE WITNESS (Hesketh): No changes.

22 MR. BALDWIN: Mr. Paterno.

23 THE WITNESS (Paterno): No changes.

24 MR. BALDWIN: Mr. Smith.

25 THE WITNESS (Smith): No changes.

1 MR. BALDWIN: Mr. Fowler.

2 THE WITNESS (Fowler): No changes.

3 MR. BALDWIN: Mr. Fuerstenberg.

4 THE WITNESS (Fuerstenberg): No
5 changes.

6 MR. BALDWIN: And with those
7 corrections, is the information contained in those
8 exhibits true and accurate to the best of your
9 knowledge?

10 Mr. Sellars.

11 THE WITNESS (Sellars): Yes, it is.

12 MR. BALDWIN: Mr. Logan.

13 THE WITNESS (Logan): Yes, it is.

14 MR. BALDWIN: Ms. Gresock.

15 THE WITNESS (Gresock): Yes, it is.

16 MR. BALDWIN: Mr. Mirabito.

17 THE WITNESS (Mirabito): Yes, it is.

18 MR. BALDWIN: Mr. Eves.

19 THE WITNESS (Eves): Yes, it is.

20 MR. BALDWIN: Mr. Bradley.

21 THE WITNESS (Bradley): Yes, it is.

22 MR. BALDWIN: Mr. Rega.

23 THE WITNESS (Rega): Yes, it is.

24 MR. BALDWIN: Mr. Thibeault.

25 THE WITNESS (Thibeault): Yes, it is.

1 MR. BALDWIN: Mr. Walsh.

2 THE WITNESS (Walsh): Yes, it is.

3 MR. BALDWIN: Mr. Hesketh.

4 THE WITNESS (Hesketh): Yes, it is.

5 MR. BALDWIN: Mr. Paterno.

6 THE WITNESS (Paterno): Yes, it is.

7 MR. BALDWIN: Mr. Smith.

8 THE WITNESS (Smith): Yes, it is.

9 MR. BALDWIN: Mr. Fowler.

10 THE WITNESS (Fowler): Yes, it is.

11 MR. BALDWIN: Mr. Fuerstenberg.

12 THE WITNESS (Fuerstenberg): Yes, it
13 is.

14 MR. BALDWIN: And do you adopt the
15 information contained in those exhibits as your
16 testimony in this proceeding?

17 Mr. Sellars.

18 THE WITNESS (Sellars): Yes, I do.

19 MR. BALDWIN: Mr. Logan.

20 THE WITNESS (Logan): Yes, I do.

21 MR. BALDWIN: Ms. Gresock.

22 THE WITNESS (Gresock): Yes, I do.

23 MR. BALDWIN: Mr. Mirabito.

24 THE WITNESS (Mirabito): Yes, I do.

25 MR. BALDWIN: Mr. Eves.

1 THE WITNESS (Eves): Yes, I do.

2 MR. BALDWIN: Mr. Bradley.

3 THE WITNESS (Bradley): Yes, I do.

4 MR. BALDWIN: Mr. Rega.

5 THE WITNESS (Rega): Yes, I do.

6 MR. BALDWIN: Mr. Thibeault.

7 THE WITNESS (Thibeault): Yes, I do.

8 MR. BALDWIN: Mr. Walsh.

9 THE WITNESS (Walsh) : Yes, I do.

10 MR. BALDWIN: Mr. Hesketh.

11 THE WITNESS (Hesketh): Yes, I do.

12 MR. BALDWIN: Mr. Paterno.

13 THE WITNESS (Paterno): Yes, I do.

14 MR. BALDWIN: Mr. Smith.

15 THE WITNESS (Smith): Yes, I do.

16 MR. BALDWIN: Mr. Fowler.

17 THE WITNESS (Fowler): Yes, I do.

18 MR. BALDWIN: And Mr. Fuerstenberg.

19 THE WITNESS (Fuerstenberg): Yes, I do.

20 MR. BALDWIN: Thank you, Mr. Chairman.

21 We offer them as full exhibits.

22 THE CHAIRMAN: Okay. Do any of the
23 parties or intervenors object to the admission of
24 these exhibits?

25 (No response.)

1 THE CHAIRMAN: Hearing and seeing none,
2 the exhibits are admitted.

3 (Applicant Exhibits II-B-1 through
4 II-B-18: Received in evidence - described in
5 index.)

6 MR. BALDWIN: Our witnesses are
7 available for cross-examination, Mr. Chairman.

8 THE CHAIRMAN: Okay. We'll now begin
9 with cross-examination of the applicant by staff.

10 Mr. Perrone.

11 MR. PERRONE: Thank you, Mr. Chairman.

12 CROSS-EXAMINATION

13 MR. PERRONE: Did NTE fly a balloon on
14 October 20th to simulate the stack height?

15 THE WITNESS (Gresock): Yes.

16 MR. PERRONE: What was the diameter and
17 color of the balloon?

18 THE WITNESS (Gresock): The balloon was
19 inflated with helium to approximately 3 and a half
20 to 4 feet in diameter. It was a red balloon.

21 MR. PERRONE: What height was the
22 balloon raised to above existing grade?

23 THE WITNESS (Gresock): The height was
24 intended to simulate a stack top elevation of 465
25 feet above mean sea level. Since the existing

1 grade elevation at the stack location is about 298
2 feet, the string length for the balloon was set at
3 167 feet in order to simulate the top of the 150
4 foot stack.

5 MR. PERRONE: So that extra height is
6 to compensate for the difference between the
7 existing grade of 298 and the proposed grade of
8 350?

9 THE WITNESS (Gresock): That is
10 correct.

11 MR. PERRONE: And just to be clear, is
12 that the height to the top of the balloon or --

13 THE WITNESS (Gresock): That was the
14 height of the string, and so the balloon actually
15 afforded some additional height.

16 MR. PERRONE: Could you describe the
17 weather conditions during the field review?

18 THE WITNESS (Gresock): Weather
19 conditions were generally fairly clear. Winds
20 were lighter in the morning, but winds increased
21 throughout the course of the day. Generally
22 speaking, it was a good visibility day for being
23 able to see.

24 MR. PERRONE: What were the balloon
25 hours approximately when the balloon went up and

1 when it was taken down?

2 THE WITNESS (Gresock): The balloon was
3 aloft just prior to 8:00 a.m. and was brought down
4 after 6 p.m.

5 MR. PERRONE: Is it correct to say that
6 the applicant's signs included information
7 regarding the project and the Council's public
8 hearing?

9 THE WITNESS (Mirabito): Yes, that's
10 correct.

11 MR. PERRONE: I also understand that
12 before October 20th a proposed site walk plan was
13 prepared. It had nine different stops around the
14 perimeter of the power plant, including one by the
15 utility switchyard. Was that plan generally
16 followed on the day of the field review?

17 THE WITNESS (Gresock): Yes, it was.

18 MR. PERRONE: Now, turning to the
19 responses to Council Interrogatories, Set I,
20 Question 38, NTE states that the closest residence
21 to the center of the power plant is at 149 Lake
22 Road. So just to be absolutely clear, the
23 residence at 149 Lake Road, that's the nearest
24 off-site residence. Is that correct?

25 THE WITNESS (Gresock): That's correct.

1 MR. PERRONE: And there is one on-site
2 residence at 189 Lake Road?

3 THE WITNESS (Gresock): There is an
4 on-site residence that will be demolished if the
5 project proceeds.

6 MR. PERRONE: In the response to the
7 Council Interrogatories Set II, Question 72, there
8 was discussion about a possible Community
9 Environmental Benefits Agreement. I understand
10 NTE is working on that with the town. Do you have
11 an approximate timeline on that?

12 THE WITNESS (Eves): We've begun
13 discussions with the town, and we're expecting to
14 really have a first draft back to the town by the
15 end of the month.

16 MR. PERRONE: Turning to more energy
17 and electric markets type questions, I know
18 there's a lot of discussion in the record about
19 capacity factor and load factor. My
20 understanding, the capacity factor is an energy
21 ratio, the megawatt hours produced divided by the
22 maximum possible megawatt hours that could be
23 produced. Is that correct?

24 THE WITNESS (Bradley): Yes, that is
25 correct.

1 MR. PERRONE: And Tab B of Volume 2 in
2 the PA report it mentions the emission reductions
3 resulting from the proposed plant and the types of
4 older plants that could be displaced. Would the
5 proposed plant displace baseload facilities or
6 intermediate units or peaking or some combination
7 of the three.

8 THE WITNESS (Paterno): Ethan Paterno
9 of PA Consulting. It will be some combination of
10 the three, but mainly mid-merit as well as
11 peaking.

12 MR. PERRONE: Also in the PA report,
13 Section 3.2, it states, "This process is designed
14 to select the appropriate amount of existing and
15 new capacity resources that are needed for
16 system-wide and local reliability while
17 simultaneously maximizing social surplus." Could
18 you explain what is meant by "maximizing social
19 surplus"?

20 THE WITNESS (Paterno): Yes,
21 absolutely. It's effectively the solving
22 algorithm within the forward-capacity auction
23 framework. And if you remember back to your
24 Economics 101 class where you have an intersection
25 of the supply and demand curves, it's effectively

1 the area under the curve to the left at the
2 intersection of those two curves.

3 MR. PERRONE: On page 13 of the PA
4 report, Section 3.3.2, it mentions that KEC is
5 projected to bid approximately 500 megawatts into
6 the ROP zone. Now, in Council Interrogatory
7 Number 79 we have the megawatt data. How does the
8 500 megawatts fit in with the existing megawatt
9 data? For example, is it close to the 493 summer
10 rating? Where does the 500 come from?

11 THE WITNESS (Paterno): It is close to
12 the summer rating of the facility.

13 MR. PERRONE: And with the Pilgrim
14 Nuclear Power Station proposed to retire, would
15 the only remaining nuclear electric capacity in
16 New England remaining would that be Seabrook in
17 New Hampshire and Millstone in Connecticut?

18 THE WITNESS (Paterno): That is
19 correct.

20 MR. PERRONE: In NTE's response to
21 Council Interrogatory Number 81, NTE indicated
22 that it would seek to go forward with the project
23 even if it did not clear FCA #11. NTE's response
24 goes on to say that NTE's analysis indicates that
25 a need exists for KEC in terms of electric system

1 reliability for the State of Connecticut and the
2 ISO New England regional electric systems. But
3 referring back to the PA report, in the findings
4 under the determination of need section, it
5 appears to tie the need for the plant in terms of
6 reliability to clearing FCA #11. So my question
7 is, how does NTE plan to demonstrate need,
8 particularly in the context of electric system
9 reliability absent clearing FCA #11.

10 THE WITNESS (Bradley): Certainly. I'd
11 be glad to address that. There are a number of
12 ways that NTE can demonstrate need. Clearing
13 FCA#11 is only one component of need for the power
14 facility, although a very important component.
15 The other equally very important components are
16 things that are going on in both ISO New England
17 and Connecticut related to resource adequacy,
18 related to winter reliability due to potential
19 natural gas shortages on the pipeline and
20 retirements of existing units that go back and tie
21 into resource adequacy. Many of the units that
22 are currently retiring are oil and coal fired, so
23 therefore putting more emphasis on natural gas
24 generation.

25 One of the points on that for need for

1 Killingly is Killingly is dual-fuel. So even
2 though Killingly has firm natural gas supply,
3 Killingly still has the ability to operate on ULSD
4 if natural gas would be curtailed for some reason
5 to firm shippers.

6 The other factor that comes in there is
7 the implementation of renewable resources.
8 Renewables and demand response are nondispatchable
9 resources. Those are placing strain on the
10 system. Killingly, being a fast start resource
11 with a ramp rate of 29 megawatts a minute, is a
12 very effective resource to maintain the grid
13 reliability for ISO New England.

14 MR. PERRONE: And one other question.
15 When you mentioned the possibility of gas
16 curtailment to firm shippers, with NTE as a firm
17 gas with a firm gas contract, would you be treated
18 on an equal footing with the natural gas local
19 distribution companies, or would they still have
20 priority?

21 THE WITNESS (Bradley): We have
22 addressed that question with our natural gas
23 supplier and also with Algonquin. And NTE, the
24 way curtailment on the natural gas pipelines
25 occurs, interruptible supplies are curtailed

1 first, and firm supplies are curtailed on a pro
2 rata basis. However, those firm supplies are
3 prioritized by critical users such as hospitals,
4 other temperature-sensitive type activities, and
5 then other items are curtailed on a pro rata
6 basis. So the power facility would be curtailed
7 on a pro rata basis with other users' firm
8 shippers on Algonquin.

9 THE CHAIRMAN: Could I interrupt? I
10 think I've also read in both ISO New England and
11 also in the state reports that there is concern
12 about becoming overreliant on gas. And it seems
13 to be -- you would be adding to that.

14 THE WITNESS (Bradley): There have been
15 some concerns addressed in a number of the ISO New
16 England reports regarding that. However,
17 Killingly is not adding to that concern because we
18 have the back-up ULSD oil to use whenever for a
19 secondary fuel whenever natural gas supplies would
20 be curtailed. So Killingly as a firm gas user,
21 based on existing supplies, we're not dependant on
22 any type of upgrades and having the back-up fuel.
23 We actually are addressing what President van
24 Welie and the other folks at ISO New England have
25 discussed as the issue, and they're promoting the

1 use of efficient natural gas with some type of
2 back-up fuel such as ULSD. So we're actually
3 addressing that need as opposed to contributing to
4 the problem.

5 MR. SILVESTRI: I'd like to jump in on
6 the ULSD issue. My understanding is it's it still
7 going to be a one million gallon tank. Is that
8 correct?

9 THE WITNESS (Rega): That's correct.

10 MR. SILVESTRI: And is the design now
11 for double-walled interstitial monitoring?

12 THE WITNESS (Rega): The design now is
13 a steel containment structure with interstitial
14 monitoring, so we've gotten away from the earthen
15 berm with liner. There were concerns from the
16 Town of Killingly about that design. And although
17 it's a common design, we heard their concerns, and
18 we decided to go with a steel containment
19 structure.

20 MR. SILVESTRI: So it's one million
21 gallons?

22 THE WITNESS (Rega): That's correct.

23 MR. SILVESTRI: And if I'm correct, at
24 full load the unit can burn 17,500 gallons an
25 hour. Is that correct?

1 THE WITNESS (Rega): That sounds right,
2 yes.

3 MR. SILVESTRI: So if you look at the
4 tank size and that rate, one day approximately
5 420,000, so you basically have a two-day supply on
6 hand?

7 THE WITNESS (Rega): That's correct.

8 MR. SILVESTRI: The concern I have is a
9 prolonged outage from natural gas running ULSD.
10 For example, when Katrina hit, Katrina blew out a
11 number of gas pipelines that the northeast region
12 couldn't get access to it, so power plants were
13 called upon to run on oil or coal or other types
14 of fuel because they couldn't get gas. If we're
15 looking at math out of it, a typical tanker is
16 probably about 7,500 gallons. Would that be
17 correct?

18 THE WITNESS (Rega): That's about
19 correct, yes. Nominally we say about 8,000, but
20 that's probably --

21 MR. SILVESTRI: Somewhere in that
22 ballpark. I'm not sure what Connecticut's weight
23 restrictions are, but bear with me on some simple
24 math, if we can?

25 THE WITNESS (Rega): Sure.

1 MR. SILVESTRI: If we're burning 17,500
2 gallons an hour, a tanker would hold approximately
3 half of that, so you'd need two tankers to keep up
4 for an hour?

5 THE WITNESS (Rega): Correct.

6 MR. SILVESTRI: How many trucks would
7 you actually need if you then lose natural gas for
8 a period of time and relying on ULSD? I can't get
9 the math right. I'm kind of looking at 56 trucks
10 a day or more to try to keep up.

11 THE WITNESS (Rega): Yes, that sounds
12 about right. Again, simple math, two per hour
13 obviously would be about 48 trucks per day.

14 MR. SILVESTRI: Could the facility
15 accommodate those many trucks coming in on a daily
16 basis to refuel that tank and keep you guys
17 operational?

18 THE WITNESS (Rega): Yes, it can.

19 MR. SILVESTRI: That's all I have for
20 now. Thank you.

21 MR. PERRONE: I understand that duct
22 firing would not occur under ULSD operation.
23 Could you explain why? For example, is the duct
24 burner simply a gas-only burner?

25 THE WITNESS (Rega): It is a gas-only

1 burner, so we assume we don't have gas available.

2 MR. PERRONE: Back to the ULSD
3 containment, I know originally there was a
4 containment area proposed that could hold 110
5 percent. Now with the proposed double-wall fuel
6 tank, what percentage could it hold .

7 THE WITNESS (Rega): It would still be
8 110 percent.

9 MR. PERRONE: Moving on to water. On
10 figure 2-11B in Volume I of the application, I see
11 the units are in KGBD. Is that 1,000 gallons per
12 day?

13 THE WITNESS (Rega): Correct.

14 MR. PERRONE: I also noticed, because
15 there's five different scenarios, there are cases
16 where the evaporative cooling and the duct burners
17 operate for 12 hours per day. Could you explain
18 how the 12-hour run time was arrived at?

19 THE WITNESS (Rega): I mean, it's a
20 peak. Basically those are the times where we
21 would expect that the peak load would occur for 12
22 hours a day, but the peak load would not occur for
23 24 hours a day.

24 MR. PERRONE: But on a hot summer day
25 if the night doesn't fall below 59, could your

1 evaporative coolers potentially run more than 12
2 hours?

3 THE WITNESS (Rega): They have the
4 potential to run any time it's above 59 degrees.

5 MR. PERRONE: And I also understand
6 that from case five that your worst case water
7 consumption is 345,400 gallons per day. So is the
8 400,000 gallons that was provided to the water
9 company a conservative round number?

10 THE WITNESS (Rega): It was a
11 conservative round number that we've had for a
12 while. As we've gone on in the design, we found
13 some ways to optimize, and so that number has come
14 down a little bit.

15 MR. PERRONE: Could you explain the
16 HRSG blowdown process, what's involved in it?

17 THE WITNESS (Rega): So the HRSG, it's
18 a closed system. And it obviously creates steam,
19 sends that steam to the steam turbine. It's then
20 pumped back to the HRSG for reuse. But during
21 that process there are certain solids that build
22 up, you know, essentially corrosion perhaps, that
23 comes off of some of the tubes of the HRSG. So
24 you do have to -- it's called blowdown. Basically
25 we're trickling some water out of there, and we

1 have to take some water out and replenish it with
2 clean water to keep the steam purity requirements
3 up.

4 MR. PERRONE: Is that a continuous
5 process, or that happens daily?

6 THE WITNESS (Rega): It's a continuous
7 process.

8 MR. PERRONE: And also can you tell us
9 about the CTG evaporative cooler blowdown process?

10 THE WITNESS (Rega): Sure. So
11 similarly to cool the inlet air for the gas
12 turbine, which allows greater output and higher
13 efficiency of the gas turbine, there's an
14 evaporative cooler on that inlet air duct. And so
15 there's a recirculation of water that happens
16 there. To conserve water, we do recirculate it,
17 but, again, there are certain particles in there
18 that have to be blown down occasionally to
19 maintain those water requirements for the gas
20 turbine manufacturer.

21 MR. PERRONE: Has NTE had any
22 discussions with the water company regarding
23 supplying the plant even under drought conditions?

24 THE WITNESS (Mirabito): We've had
25 extensive discussions with Connecticut Water, not

1 that particular scenario.

2 MR. PERRONE: I'm going to turn to the
3 letter from the water company dated July 29th. It
4 mentions that a possible engineered booster
5 station may be required. Is that the same as the
6 pump station on figure 2.10 of Volume I?

7 THE WITNESS (Mirabito): Yes, it is.

8 MR. PERRONE: And also in the
9 Connecticut Water Company letter, "Because supply
10 availability of any system is finite, an annual
11 review will need to be conducted." If this
12 project is approved, would NTE consult with CWC
13 regularly to participate in that process?

14 THE WITNESS (Mirabito): We would, but
15 we also understand from conversations with
16 Connecticut Water that that requirement is more
17 for this ongoing development process. Once we
18 commit to purchasing the amount of water we've
19 indicated, that requirement of an annual review
20 will go away.

21 MR. PERRONE: Also on the topic of
22 water we have comments from the Connecticut
23 Department of Public Health. Those are dated
24 October 20th. There's several bulleted points in
25 here. Could NTE respond to these points?

1 THE WITNESS (Mirabito): Sure. I've
2 got a copy of that in front of me. I think the
3 first bullet here has to do with the future
4 aquifer protection mapping of the area. And it's
5 just a request for future review. Of course, we
6 would agree to that.

7 On Item 2 it's basically asking about
8 an analysis of the adequacy of the existing system
9 to supply our facility and also maintain existing
10 safety margins. Our understanding from
11 Connecticut Water that analysis was done which
12 yielded their requirement that the system -- that
13 the Killingly system connected with Plainfield.

14 So while we didn't see the results of
15 that analysis, that's what led to their
16 requirement that that additional infrastructure be
17 put in place. And that really is the third bullet
18 there where basically DPH is suggesting that that
19 should be considered should the analysis suggest
20 so.

21 And I believe the remaining bullets are
22 more pro forma regulatory requirements that we
23 would certainly be willing to comply with.

24 MR. SILVESTRI: If I could follow up on
25 that. In responses of NTE to Not Another Power

1 Plant's interrogatories, page 9 mentions that
2 there are potential alternative sources of water
3 should permits and approvals for the water pipe
4 interconnection with CWC not be obtained. Could
5 you elaborate on those potential alternatives?

6 THE WITNESS (Mirabito): Sure. There's
7 a number of potential alternatives, many of which
8 we described in our water hydrogeological
9 evaluation. I'll point you to the right
10 reference. It's Appendix H-3 of our application
11 where we talk about other potential sources,
12 including the Quinebaug River, on-site well,
13 various graywater sources from the waste treatment
14 plant in Killingly or nearby Putnam. We looked at
15 graywater from a nearby industrial, Frito-Lay.

16 So there certainly are other
17 alternatives for water supply. We just felt once
18 we got far along enough in our evaluation of
19 Connecticut Water Supply that that was the most
20 appropriate for our facility.

21 MR. SILVESTRI: As a follow-up, could
22 graywater be used as a primary source?

23 THE WITNESS (Thibeault): Graywater,
24 it's certainly possible to use as a primary
25 source, yes. We're still doing some evaluations.

1 We've begun some sampling of the graywater source
2 at Killingly's wastewater treatment facility, so
3 there is some ongoing investigation but, generally
4 speaking, yes, it is possible to use.

5 MR. SILVESTRI: Thank you.

6 MR. PERRONE: Moving on to visibility,
7 in the visual impact assessment it states,
8 "Although visibility potential when considering
9 the effect of trees can generally be considered
10 greater during winter leaf-off conditions in this
11 vicinity, the presence of evergreen trees and the
12 density of wooded areas is anticipated to provide
13 strong visual buffering during all seasons."

14 Now, I understand that with the tree
15 cover included, the visibility area of the stack
16 is about 2 percent of the 5-mile radius. Does NTE
17 expect that that percentage would materially
18 change between leaf-on and leaf-off conditions?

19 THE WITNESS (Gresock): We don't expect
20 it will materially change. One of the
21 characteristics of tree cover in the area is even
22 when the leaves are not on the trees, there's a
23 very good density of trees not only around the
24 site but in the vicinity. One of the primary
25 factors that reduces visibility from public

1 locations, for example, such as roadways, is the
2 large number of trees that are located along those
3 roadways. Those are frequently -- the trunks of
4 the trees are blocking the views just as much as
5 the vegetation, the leaves themselves.

6 MR. PERRONE: And just to clarify, is
7 Alexander Lake a private recreational resource
8 rather than public?

9 THE WITNESS (Gresock): It's my
10 understanding it's private, yes.

11 MR. PERRONE: With regard to
12 construction, I understand in the Set I Council
13 interrogatories, Question 7, it states, "Limited
14 quantities of structural fill may be needed to be
15 brought to the site if adequate material is not
16 present." And I also understand there's some
17 mention about that in the Appeal of Regulate and
18 Restrict.

19 My question is, would clean fill, free
20 of existing contaminants, be brought in, or at a
21 minimum, would it be tested?

22 THE WITNESS (Rega): It would be clean
23 fill, and it would be tested.

24 MR. PERRONE: Also in NTE's appeal of
25 the Municipal Regulate and Restrict Orders on page

1 38 NTE mentions a phasing and construction
2 sequencing plan. Would the tree clearing for the
3 project be performed in phases such as a certain
4 number of acres at a time, or would all the tree
5 clearing occur at once?

6 THE WITNESS (Rega): The expectation is
7 that all the tree clearing would occur at once.

8 MR. PERRONE: Moving on to air
9 emissions. On page 100 of Volume I of the
10 application it continues a discussion of the
11 cumulative impact analysis for NO2 and PM2.5. Is
12 the Exeter Energy power plant, is that currently
13 in service?

14 THE WITNESS (Sellars): It's currently
15 permitted.

16 MR. PERRONE: But nevertheless, it was
17 included to be conservative. Is that correct?

18 THE WITNESS (Sellars): It was included
19 because it passed the screening.

20 MR. PERRONE: And in response to the
21 Council's Question 49, NTE provided the PM2.5
22 dispersion map. And since the map is zoomed out,
23 is the worst case location more near the utility
24 switchyard area?

25 THE WITNESS (Sellars): It is in that

1 general vicinity. It's both at the switchyard and
2 other industrial uses slightly north of there.

3 MR. PERRONE: But everywhere on the map
4 it would be less than the .3?

5 THE WITNESS (Sellars): That is
6 correct.

7 MR. PERRONE: In the NAPP prefile
8 testimony of Jason Anderson, Question 5, he was
9 concerned about radon gas. And NTE in its
10 response to an interrogatory, number 28 for NAPP,
11 NTE notes that blasting is not likely to increase
12 radon levels within nearby wells and residences.

13 Would any other site work or site
14 excavation processes be expected to impact radon
15 levels?

16 THE WITNESS (Rega): No, we don't think
17 there's any other activities that would increase
18 that.

19 MR. PERRONE: With regard to noise,
20 when comparing the Town of Killingly noise
21 ordinance versus the DEEP noise control
22 regulations, when you're looking at whether the
23 project is a residential, commercial or industrial
24 emitter, do both sets of noise standards go by the
25 proposed use, or is the DEEP one more about -- let

1 me back up.

2 Is the town noise ordinances more about
3 the actual zoning use and the DEEP more about the
4 proposed use? Can you clarify?

5 THE WITNESS (Gresock): It's correct
6 that the town noise regulations focus on the
7 zoning characterization of the property while the
8 Connecticut requirements focus more on land use.
9 But it's also the case that both regulations refer
10 to the emitter.

11 MR. PERRONE: And in both cases the
12 emitter would be industrial?

13 THE WITNESS (Gresock): In this case it
14 would be an industrial emitter, yes.

15 MR. PERRONE: And as we discussed
16 earlier, with the nearest home at 149 Lake Road,
17 the nearest home to the power plant project, how
18 would the proposed project affect magnetic field
19 levels at the nearest home?

20 THE WITNESS (Gresock): The magnetic
21 field level assessments that were presented in the
22 application indicated that all of the Connecticut
23 standards were met.

24 MR. PERRONE: With regard to the
25 utility switchyard site, I understand a wetland

1 creation plan is proposed to compensate for the
2 approximately 12,500 square feet of direct wetland
3 impacts. If this project is approved, how would
4 the wetland creation plan be provided to the
5 Council? Would it be perhaps in NTE's D&M plan or
6 in Eversource's utility switchyard filing?

7 THE WITNESS (Gresock): Because NTE
8 will be taking responsibility for overseeing the
9 fact that this creation occurs, I would expect
10 that even if it's implemented by another party,
11 NTE would be willing to provide that as part of
12 the D&M plan.

13 MR. PERRONE: Turning to the gas
14 pipeline. In the NAPP prefiled from Jason
15 Anderson, Question 1, it was noted about
16 abutters -- there was no abutter notice for the
17 natural gas lateral. Would notice be provided if
18 this project is approved for the application by
19 Eversource?

20 THE WITNESS (Gresock): Yes, the
21 proponent of those improvements would provide
22 those notices.

23 MR. PERRONE: While I understand it
24 would be an Eversource filing, could you elaborate
25 on possible wetland impacts that could be

1 associated with a wider pipeline and trench
2 following the some path?

3 THE WITNESS (Gresock): Based upon our
4 conversations, we have been told that no wider
5 right-of-way is required. We did, however, in the
6 application provide some information about
7 approximately 2,000 feet of mapped wetland areas
8 that it appears would be traversed.

9 So we certainly do expect once
10 delineations are refreshed for that area that
11 there will be wetlands that will need to be
12 impacted in order to remove and replace that
13 pipeline.

14 MR. PERRONE: And I understand that the
15 gas lateral would be upgraded to a diameter of at
16 least 14 inches. Do you know what the existing
17 diameter is?

18 THE WITNESS (Bradley): We do not know
19 the exact existing diameter. We believe from
20 conversations with Yankee Gas that it is a 4 or
21 6-inch lateral. And they have indicated that the
22 new lateral would be 12 to 14 inches, most likely
23 14 inches.

24 MR. PERRONE: In the NAPP prefile
25 testimony of Karen Johnson, Question 7, NAPP

1 alleges that the reports submitted in the
2 Environmental Justice Act process were not the
3 same as the ones in the application and that the
4 application had newer and more complete reports.
5 Could NTE respond to that?

6 THE WITNESS (Eves): That's not
7 correct. The reports that we made available on
8 our web site and locally in the library and the
9 Town Hall are the same reports that we attached to
10 our application.

11 MR. PERRONE: Lastly, I just have
12 wildlife and vernal pool questions. I understand
13 in the Appendix F-3 of Volume II of the
14 application there's the bat monitoring survey
15 report. A seasonal restriction is proposed. If
16 tree clearing is avoided during June and July,
17 would that be protective of all the state and
18 federally listed bat species identified in that
19 report?

20 THE WITNESS (Gresock): We believe so,
21 but we know that the department is currently
22 reviewing that report as well to consider the
23 potential effect on state-listed species.

24 MR. PERRONE: And the response from
25 DEEP has not yet been received. Is that correct?

1 THE WITNESS (Gresock): That's correct.

2 MR. PERRONE: And lastly, the vernal
3 pool analysis map. It was identified as Exhibit
4 58-1, but it was part of the response to Question
5 58 from the Council.

6 One section of the vernal pool analysis
7 map shows developed areas in red, but the text of
8 the response says that currently no development
9 exists within the vernal pool envelope or critical
10 terrestrial habitat. Could you explain to us what
11 the red development area is, is that the existing
12 development or proposed development?

13 THE WITNESS (Gresock): That's
14 proposed, yes.

15 MR. PERRONE: So just to be clear,
16 there's no existing.

17 THE WITNESS (Gresock): Correct.

18 MR. PERRONE: Thank you. That's all I
19 have.

20 THE CHAIRMAN: Okay. We'll now
21 continue with cross-examination by members of the
22 Council. We have a request to go slightly out of
23 order. Dr. Klemens is actually going to segue
24 into vernal pools. So Dr. Klemens.

25 DR. KLEMENS: Thank you, Mr. Chairman.

1 I will talk quite a bit about the vernal pools.
2 And then I have other questions. And I guess I'll
3 take my questions out of order, and we'll start
4 with the vernal pools questions, and then we'll go
5 back to the other wildlife questions.

6 In your response to the Council's
7 interrogatories, the Council gave a very clear
8 template of how we would like to receive
9 information. That template has been used by
10 applicants. It derives from the publication
11 Calhoun and Klemens, which is administratively
12 noticed. The maps that were given to us were not
13 responsive at all to that particular request.

14 Could you explain why you chose not to
15 map the pools and respond to the Council in the
16 manner that it was requested?

17 THE WITNESS (Gresock): It was our
18 intention to do so. I guess I'd love to get some
19 clarification about what you found unresponsive.

20 DR. KLEMENS: Did you look in the --

21 THE WITNESS (Gresock): We did look at
22 the prior case that was referenced in the
23 question.

24 DR. KLEMENS: And the concept that
25 there is area to develop, proposed to be

1 developed, area beyond the road was not considered
2 habitat because it was cut off, all of those
3 parameters. There was a table that said pre and
4 post development. None of that was provided in
5 your response.

6 So maybe you could explain to me why.
7 There's a lot of narrative, but nothing was
8 tabulated, and I found it very unresponsive on
9 this particular issue to the request of the
10 Council.

11 THE WITNESS (Gresock): Well, my
12 apologies for that. That wasn't our intention.
13 We did look at that example. We did provide
14 mapping that shows the location and the radius
15 around the vernal pool. We did identify that
16 there was not existing development in the area
17 currently and showed where project footprint
18 elements would be proposed that reflected grading
19 versus permanent footprint areas. And we did also
20 provide information within the radius in Exhibit
21 58-2 that eliminated, as it were, potential upland
22 habitat that was on the other side of the
23 Quinebaug River, of course, because that does act
24 as a barrier for species.

25 DR. KLEMENS: So following on that, the

1 750-foot critical upland habitat, terrestrial
2 upland habitat zone, is not complete as now by
3 existing conditions. What percentage is lying in
4 the Quinebaug River and beyond? Because if you
5 would look at existing conditions and how one
6 treats roads in these matters, those are taken off
7 already. So what is that percentage of the
8 habitat that is already not available to the
9 amphibians? And we're talking about, I presume,
10 the vernal pool B, correct, we're not even talking
11 the A1 or the vernal pool that is located on the
12 Wyndham Land Trust property.

13 THE WITNESS (Gresock): Right. A1 was
14 not determined to be a vernal pool. We're talking
15 about the vernal pool in wetland B, which is the
16 only one that's on the property.

17 DR. KLEMENS: We'll get to that
18 determination as we go forward, because I think
19 people may disagree with that determination. But
20 I believe that you have stated that you're going
21 to be encroaching with the proposed development
22 within 400 and some feet of vernal pool B. Is
23 that correct?

24 THE WITNESS (Gresock): Yes, 432 feet,
25 yes.

1 DR. KLEMENS: So there's an area beyond
2 433 feet that is going to be lost in the proposed
3 development. If you add that to the percent
4 within that disk that lies within the Quinebaug
5 River and beyond, have you exceeded the 25 percent
6 allowable development or recommended, I should
7 say, development potential in that vernal pool, as
8 stated in Calhoun and Klemens?

9 THE WITNESS (Gresock): We have in the
10 final paragraph of that response, using the Army
11 Corps methodology that eliminated that area, and
12 assuming the Quinebaug River to be a barrier, we
13 have excluded that portion of the radius which was
14 about 40 acres. The adjusted percentages would be
15 93 percent of the area remaining undisturbed with
16 7 percent of habitat loss during construction, and
17 that would be adjusted to 4.3 percent of the
18 habitat lost once the construction was completed
19 if you assume that the graded slopes revert to
20 upland habitat use area.

21 DR. KLEMENS: So could you tell me
22 simply what percentage is going to be lost in this
23 adding the Quinebaug, adding the area in the
24 Quinebaug, beyond the Quinebaug, and the area
25 that's going to be developed and the area which is

1 going to be altered by the graded slopes, what do
2 you have? And that's really what the whole nature
3 of having this in a table pre/post development
4 conditions would have made it much more readily
5 apparent to the Council to understand.

6 THE WITNESS (Gresock): If it would be
7 more helpful for us to develop that table, we can
8 certainly do so.

9 DR. KLEMENS: I believe that was
10 requested of you in the interrogatory, and for
11 some reason we didn't get it. I mean, we sent you
12 the template. It was pretty clear. I'm just
13 disappointed we don't have it in a clearer fashion
14 that's intelligible.

15 THE WITNESS (Gresock): The
16 calculations that we've provided have indicated
17 that 7 percent of the habitat will be lost during
18 construction and 4.3 percent of the habitat will
19 be lost once the construction is complete.

20 DR. KLEMENS: So it's your contention
21 then that it meets the less than 25 percent
22 cumulative loss of habitat?

23 THE WITNESS (Gresock): That is our
24 belief, yes.

25 DR. KLEMENS: Well, it will helpful to

1 get that into the tabulation in a manner that the
2 Council requested. And I'm sure we have plenty of
3 time as we go forward here. It's not the last
4 hearing. I hope we'll see that because it's
5 disturbing to me that it's not there when we
6 requested it. And it makes it a lot easier.

7 THE CHAIRMAN: I think we can ask and
8 get assurance that you will provide that.

9 THE WITNESS (Gresock): Absolutely.
10 Clarifying that you'd like that in a tabular
11 format is very helpful. Thank you.

12 DR. KLEMENS: And also, there is not
13 much difference really to the habitat lost be in
14 the river and beyond to the habitat that is cut
15 off by a roadway. It's basically the same thing.
16 Would you say that a portion of the disk is
17 inaccessible to the vernal pool wildlife?

18 THE WITNESS (Gresock): I would agree
19 that's the case, yes.

20 DR. KLEMENS: Okay. So I'm going to go
21 backward now and we'll get back to the vernal
22 pool -- I guess I'll keep with the vernal pool.

23 Okay. In the application narrative on
24 page 29 you show cuts and fills coming to wetland
25 1A, which you characterize as a man-made pond.

1 We'll get to that in a moment too. How close do
2 those cuts and fills get to the high water mark of
3 that wetland?

4 THE WITNESS (Gresock): The revised
5 layout has been adjusted to make sure that all of
6 the work is at least 25 feet away from all
7 wetlands. The closer wetland is wetland X. The
8 work is now proposed to be at least 25 feet
9 distant from that, and so it would be even further
10 from wetland A1.

11 MR. BALDWIN: And Dr. Klemens, if I
12 could, just for purposes of the record, the
13 revised layout is included in NTE's Exhibit 15,
14 the responses to the Regulate and Restrict Orders
15 from the town, Exhibit 5 of that filing.

16 DR. KLEMENS: I'll take a look at it.
17 But the question I'd like to know -- thank you,
18 Attorney Baldwin. The question I would like to
19 know is are you 100 feet away from wetland A1?

20 THE WITNESS (Gresock): We are not, no.

21 DR. KLEMENS: So humor me here. If in
22 fact A1 were considered a vernal pool, you would
23 actually be filling and disrupting in the vernal
24 pool envelope?

25 THE WITNESS (Logan): Yes, that would

1 be correct.

2 DR. KLEMENS: So vernal pool or wetland
3 Al we'd characterize it as a man-made pond. But
4 wouldn't it actually more correctly be a pond that
5 was created by human activity within an existing
6 wetland?

7 THE WITNESS (Logan): Most likely. We
8 don't know the exact configuration of the wetlands
9 pre 1959 when this pond was put together, but I
10 think your assumption is probably correct.

11 DR. KLEMENS: Because you have a
12 seepage area at one end, then you have an area
13 that's dug out and dammed, and then it continues
14 on into the larger wetland?

15 THE WITNESS (Logan): That's correct.
16 So on the eastern side it's quite clear. You have
17 a seepage area on that side that was basically
18 running for a long time. On the western side it's
19 not as clear because that's more of a dug area.

20 DR. KLEMENS: So you have quite a bit
21 of testimony stating that this is a sink for the
22 22 or so spotted salamander egg masses that occur.
23 What proof do you have that it's a sink as opposed
24 to a speculation?

25 THE WITNESS (Logan): Right. So we've

1 been looking, myself and my colleagues, we've been
2 looking at this habitat, wetland A1, since
3 February, and I think the last time we were out
4 there was in September. The last thing that we
5 did, just to go backwards a little bit and why
6 this was important, I questioned in my mind always
7 as a scientist always more data is, as you know,
8 king.

9 So at the end of the season we decided
10 that what we were going to do -- and I think
11 that's included in one of our most recent
12 submittals of 10/27 -- we did two days in a row
13 consecutively dip netting at the edges of the
14 pond. We covered about 70 percent of the edge of
15 the pond on each side.

16 DR. KLEMENS: What was the date of
17 that, please?

18 THE WITNESS (Logan): 9/22 and 9/23.

19 DR. KLEMENS: September.

20 THE WITNESS (Logan): Yes. So we
21 covered and -- we did dip netting, and I think we
22 documented that the major species, amphibian
23 species that we did get at the time is green frog,
24 both juvenile and tadpoles. And of course we saw
25 a bunch of other adults also and other

1 invertebrates.

2 So there was no -- the reason for that
3 is I wanted to see whether or not I was going to
4 get any metamorphs of spotted salamanders, and I
5 didn't come up with any.

6 DR. KLEMENS: So your contention is
7 that spotted salamander metamorphs that you will
8 find larvae in pools on a regular basis toward the
9 end of September?

10 THE WITNESS (Logan): I could find them
11 earlier than that, obviously, but the major thing
12 that we noticed in this particular pond is that
13 there was a plethora of both adults and fingerling
14 size smallmouth bass. There were crayfish and
15 other predators, known predators of salamander
16 larvae.

17 DR. KLEMENS: So you looked in
18 September.

19 THE WITNESS (Logan): Uh-huh.

20 DR. KLEMENS: Did you look in the
21 summer for larvae?

22 THE WITNESS (Logan): Of course.

23 DR. KLEMENS: What are those dates that
24 you did larval surveys in the summer?

25 THE WITNESS (Logan): Prior to our

1 September visits, the visit before that was, let's
2 see, on July 21st.

3 DR. KLEMENS: And before that?

4 THE WITNESS (Logan): And before that
5 we were there on May 20th and June 4th. Before
6 that May 4th, and then in April, March and
7 February.

8 DR. KLEMENS: And no larvae seen at any
9 of those dip nets of 70 percent of the pond you
10 estimated that you covered?

11 THE WITNESS (Logan): Correct.

12 DR. KLEMENS: Now, I'm puzzled. I
13 understand what you're saying, but I also see that
14 you have 22 egg masses.

15 THE WITNESS (Logan): Yes.

16 DR. KLEMENS: Is it conceivable that --
17 how did they get there? Is there some recruitment
18 still happening, albeit there are issues with the
19 aquatic ecology, is there some recruitment still
20 occurring?

21 THE WITNESS (Logan): Well, obviously
22 our survey is a snapshot in time when we went
23 there before. By the way, it's 18 egg masses. 22
24 is at Pool B.

25 DR. KLEMENS: Sorry. 18, 22, they're

1 egg masses.

2 THE WITNESS (Logan): Exactly. And
3 believe me, we were surprised when saw them based
4 on the studies we did prior. So when they
5 appeared we immediately wanted to know why. What
6 we know, based on the fact that there are adult
7 smallmouth bass, I saw ones that were size classes
8 up to five or six inches. And you probably know
9 this. Smallmouth bass are kind of slow growing.

10 So estimating from that, this
11 population of smallmouth bass has been there
12 probably at least 10 or 15 years, which kind of
13 gets into the question as to whether salamanders
14 could potentially -- there could be recruitment
15 here. Obviously they're coming here for a reason.
16 If we make the assumption that spotted salamanders
17 do live 15 to 20 years average and some might live
18 longer, there is a small chance that somewhere in
19 that time of 15, 20 years prior that there was
20 successful recruitment and therefore the
21 salamanders started at this pool at that time,
22 radiated out and have come back, continually come
23 back.

24 But I don't know why they're coming
25 and, again, this is only -- I have no data from

1 talking to the property owner that this pond was
2 populated with smallmouth bass for a particular
3 purpose. As a matter of fact, the property owner
4 said he hasn't really been paying attention to the
5 pond for many many years.

6 DR. KLEMENS: So based on this, maybe a
7 better way to state it is that it does have vernal
8 pool function and it's an impaired vernal pool,
9 but it seems to me, from what I understand, it has
10 species breeding, 18 egg masses. It has vernal
11 pool functions based on the species. Albeit, it
12 might be impaired, and we'll get to the impairment
13 in a moment, but could you see that potentially
14 many people would consider this still having
15 vernal pool values?

16 THE WITNESS (Logan): My professional
17 opinion is I could see how one could say that. I
18 don't agree with that statement personally, and
19 I'll tell you why. As you know, I've been looking
20 at vernal pools for many many years, and one of
21 the things that I found is that spotted
22 salamanders tend to -- a percentage of them in a
23 particular habitat tend to breed wherever they can
24 find suitable habitat. So quite often I have
25 found them in man-made pools such as test pits

1 that have water that weren't filled. And so --

2 DR. KLEMENS: I think you're confusing
3 the concept of decoy pools and ruts with a wetland
4 that has been dug out and has vernal pool -- in my
5 opinion, vernal pool function. Let's not conflate
6 those two, Mr. Logan.

7 THE WITNESS (Logan): Well, it's not a
8 big jump to show that there are habitats out in
9 the landscape that could attract vernal pools for
10 breeding, and yet there's no recruitment from them
11 because, as I state here in my report, it's a
12 trap, an ecological sink.

13 DR. KLEMENS: But you really don't have
14 conclusive proof to that. Humor me here. Let's
15 say we're looking at it from a conservation
16 viewpoint. We're going to build something, and
17 how can we make things better. If one Rotenoned
18 that pond and removed the fish, what would happen?

19 THE WITNESS (Logan): Yes, I could see
20 that. But that would have to be an ongoing
21 purposeful effort by someone to turn an existing
22 man-made pond that doesn't have recruitment for
23 spotted salamanders into a vernal pool --

24 DR. KLEMENS: You don't have proof that
25 it doesn't have recruitment.

1 THE WITNESS (Logan): How can I prove a
2 negative?

3 DR. KLEMENS: Well, that's difficult.
4 It's easier to prove an absence. But you're
5 sitting here trying to convince me that the pool
6 has minimal value. You have said basically fill
7 right up to its edge within 25 to 50 feet and it's
8 invaluable, not very valuable. And I'm trying to
9 say as we balance the public need for the project
10 with the environment, which is the job of this
11 Council, we need to have a really hard look at it.

12 Let's move on.

13 THE WITNESS (Logan): Okay.

14 DR. KLEMENS: Tell me about
15 Pyxicephalus adspersus in that wetland that you
16 reported there. The last time I was aware of
17 Pyxicephalus, it's the African bullfrog with the
18 Sub-Saharan distribution. Tell me about the
19 African bullfrogs you found there.

20 THE WITNESS (Logan): Where did you
21 find that, sir?

22 DR. KLEMENS: In your application that
23 you had Pyxicephalus adspersus, page 79 of your
24 application.

25 THE WITNESS (Gresock): Do you know

1 which document, Dr. Klemens?

2 DR. KLEMENS: Yes, Volume I of the
3 application, page 79. You found green frogs,
4 Lithobates clamitans; bullfrogs, Pyxicephalus
5 adspersus; and spring peepers in that pond.

6 THE WITNESS (Logan): Obviously that's
7 a mistake that I didn't catch. I don't know why
8 that even got in there.

9 DR. KLEMENS: You see, I come from an
10 academic background. When I see a mistake -- and
11 members of the Council have heard this before.
12 When I see an error like that that's so obviously
13 wrong, it makes me wonder what I'm not seeing that
14 may not be as obvious. I found it troubling.

15 THE WITNESS (Logan): I think you're
16 jumping to conclusions, Dr. Klemens.

17 DR. KLEMENS: I don't think I'm jumping
18 to any conclusions. I'm just asking you how it
19 got into a report that you submitted to this
20 Council, how something that glaring could in a
21 report, in the narrative of your report.

22 THE WITNESS (Logan): Okay. So here's
23 what's going on. If you look at the actual -- not
24 the summary that summarizes the actual pond and
25 vernal pool surveys, but if you go into my report,

1 which is -- I'll tell you which -- Volume II,
2 Appendix F-1, and you find yourself to page 14 of
3 that report.

4 DR. KLEMENS: I'm aware of it. We're
5 going to be visiting that too in a bit.

6 THE WITNESS (Logan): You'll see 37
7 smallmouth bass and one bullfrog. This is the end
8 sentence of the first paragraph. And one
9 bullfrog. And it says *Lithobates catesbeianus*.
10 So I have no idea how we jumped from *Lithobates* to
11 this other interesting species that I'd like to
12 know a little bit more about.

13 DR. KLEMENS: Did you put that in the
14 report, or is there somebody -- and this always
15 worries me. And here's something else the Council
16 has often heard me talk about is when you have a
17 bunch of handlers, corporatized science, someone
18 just pulled this off the internet and plugged it
19 into the report.

20 THE WITNESS (Gresock): I believe it's
21 just a typographical error in this instance.

22 DR. KLEMENS: Typographical error. I'm
23 not going to pursue it. It bothers me. That kind
24 of sloppiness in a submission is bothersome.

25 Let's talk about the seepage, the

1 springhouse that is associated that you showed me
2 in the field. What will the effect of this
3 proposed cuts and fills and grading have on the
4 hydrology of that spring?

5 THE WITNESS (Logan): None whatsoever.

6 DR. KLEMENS: Why?

7 THE WITNESS (Logan): Because that
8 particular spring is probably -- not probably.
9 It's my professional opinion that it is fed from
10 the eastern ridge. So it's away from any
11 development that we're making. So I think the
12 water that expresses itself from that particular
13 springhouse comes from the east; it doesn't come
14 from the west where we're proposing development.

15 DR. KLEMENS: What did you do? Did you
16 do any surveys within that springhouse? Did you
17 put minnow traps in the springhouse? Did you look
18 at the springhouse at night?

19 THE WITNESS (Logan): Yes. As a matter
20 of fact, yes and no. I did not put any traps in
21 there, but as I'm a curious scientific kind of guy
22 with an academic background, every time I was
23 there I would lift up, as we did when we did the
24 site walk, lift up and peered in, whether with a
25 flashlight or with daylight. And the only --

1 apart from some invertebrates that I could not
2 identify, they were running, scurrying around --
3 the only time that I saw anything was I think
4 in -- it was not in February, it was in March, and
5 it was a dead wood frog.

6 DR. KLEMENS: But you never went there
7 at night and looked in the springhouse?

8 THE WITNESS (Logan): Yes, I did. As a
9 matter of fact, when we did the owl surveys, which
10 obviously were at night, my son was with me at
11 that time. I wanted to show him a few things, and
12 one of the things we did was we opened up and
13 looked.

14 DR. KLEMENS: Did you try to dip net
15 around looking for salamander larvae in the
16 springhouse?

17 THE WITNESS (Logan): Not in the spring
18 house.

19 DR. KLEMENS: You didn't look for
20 salamander larvae?

21 THE WITNESS (Logan): No.

22 DR. KLEMENS: You didn't consider the
23 possibility that that springhouse could have
24 spring salamanders in it, which are state
25 protected species?

1 THE WITNESS (Logan): I never -- I
2 always consider all possibilities when I'm doing
3 surveys. I'm always curious to see what I can
4 find. So that was part of my investigation was to
5 always look in there, but I did not put any traps.

6 DR. KLEMENS: So you didn't really
7 survey that spring comprehensively for spring
8 salamanders?

9 THE WITNESS (Logan): My visual
10 observations did not indicate that I needed to do
11 that.

12 DR. KLEMENS: What visual observations
13 would lead you to that conclusion?

14 THE WITNESS (Logan): Well, from, for
15 instance, at night when we looked with a
16 flashlight from corner to corner and all around,
17 all I could see was some unidentified
18 invertebrates. I did not see any salamanders or
19 other --

20 DR. KLEMENS: Have you ever had any
21 experience looking for spring salamanders?

22 THE WITNESS (Logan): A couple of
23 times, yes.

24 DR. KLEMENS: Where at?

25 THE WITNESS (Logan): Recently in

1 Storrs, Connecticut. Before that actually it was
2 before this Council many years ago. It was a
3 cellular tower that was being proposed at East
4 Hartland, I believe, and so there was potential
5 evidence of spring salamanders in those areas.

6 DR. KLEMENS: Do you think that -- do
7 you understand why I'm concerned about spring
8 salamanders at this site?

9 THE WITNESS (Logan): Sure, very clean
10 water, consistent source of water discharging year
11 round in some cases.

12 DR. KLEMENS: You cited my book, and
13 it's referenced in the -- administratively
14 noticed. Are you aware of the statement about
15 spring salamanders in the Town of Killingly in my
16 book?

17 THE WITNESS (Logan): No, I'm not. I
18 did not specifically look at that at this time.

19 DR. KLEMENS: Are you aware that
20 there's spring salamander sites contiguous right
21 in Rhode Island contiguous with the Town of
22 Killingly, and that's what prompted that in the
23 book?

24 THE WITNESS (Logan): Again, I did not
25 specifically look at it. One of the things that

1 we always go off is we rely also not only on us
2 opening the possibility that any species could be
3 there if the habitat is sufficient and suitable.
4 We also relied on the query that we did through
5 the Natural Diversity Database, and most spring
6 salamanders came back as a potential species.

7 DR. KLEMENS: Well, yes, that is a
8 problem with the NDDB, and I'm going to talk about
9 that in a minute. How far is this site located
10 from the Rhode Island border, roughly, and the
11 Massachusetts border? And I'll make it easy. Is
12 it within 40 miles or less?

13 THE WITNESS (Logan): It's within 40
14 miles certainly.

15 DR. KLEMENS: Because this is -- we had
16 no paucity of looking regionally at the air data.
17 You have the maps, you have all the stuff. And
18 I'm sort of amazed.

19 And if you go -- and I'm going to jump
20 ahead to Question 52 in the response to the
21 Council's interrogatories talking about the
22 hibernaculum, certain bat hibernaculum, and you
23 went on and on about all the ones in Connecticut.
24 But wouldn't it make sense to you as a biologist
25 that with a site that is so close to Rhode Island,

1 so close to Massachusetts, that actually you might
2 learn more about what might be on that site by
3 consulting databases and information on those
4 states rather than Connecticut?

5 THE WITNESS (Gresock): Well, and
6 certainly U.S. Fish and Wildlife Service, who
7 approved the protocol, would be looking at that
8 more regionally. In response to that particular
9 question, we did provide a Connecticut map.

10 DR. KLEMENS: All right. I think
11 you've answered. So you really haven't considered
12 the possibility of trying to understand this site
13 of looking at other databases and other
14 information from contiguous states that may be
15 really helpful in understanding the ecology of
16 this site?

17 THE WITNESS (Logan): I think the
18 specific answer to your question is, no, I didn't.
19 But, as I've said before, whenever I look at a
20 site it's an open canvas for me to find whatever
21 is there. So I look at all the places that I
22 would expect to find life, aquatic life,
23 especially herptiles.

24 DR. KLEMENS: So would it be possible,
25 given the fact that I'm not so convinced that

1 Wetland A1 is not a vernal pool, that we get -- in
2 addition to Wetland B, which we agree is a vernal
3 pool, that we get the analyses that were requested
4 by the Council for all three of those wetlands?
5 That would be A1, that would be B, that would also
6 be the vernal pool you identified on the Wyndham
7 Land Trust property, which I think is far removed
8 but, again, I would like to see that in the record
9 just what the impacts might be of the proposed
10 construction on all three of those vernal pools.

11 THE WITNESS (Gresock): Yes. I mean,
12 while we disagree that A1 is a vernal pool and
13 spent a lot of time taking a look at it to support
14 that, we don't have any problem providing those
15 calculations for those three areas. I think that
16 will be helpful information.

17 DR. KLEMENS: It would be helpful to me
18 and other people. And I don't dispute that when
19 you start to look at a site with multiple vernal
20 pools, you really take a look at those that are
21 the highest quality. And I think you've made a
22 case that there is impairment. I'm just not
23 willing to declassify it as a vernal pool based on
24 the impairment.

25 Let's switch gears for a second. I

1 have just one. And I'm going to come back to the
2 pipeline, and then I'm going to come back to all
3 the other species. I had an arrangement of
4 questions, which I got thrown off by having the
5 vernal pool thing handed to me.

6 I'd like to go to the municipal
7 consultation information that you submitted to the
8 Council on September 1st and to your illustration
9 on page 8. I think you might have heard this from
10 members of the public where you're showing the
11 closed or refitting or generation at risk. And
12 what I find notably absent on here are the new
13 plants that are coming online, specifically Docket
14 192B and Petition 1218. And I'm just asking why
15 when you go out to the public to make a case for
16 this plant you don't give the full picture in the
17 stakeholder meetings. I mean, obviously many
18 people are aware of it. It seems somewhat
19 disingenuous not to.

20 THE WITNESS (Bradley): I'll be glad to
21 address that. As you look at the generation
22 retirements that we've pointed out, both in ISO
23 New England and in Connecticut and the discussions
24 in the stakeholder meetings, I believe in the last
25 stakeholder meeting where we addressed questions

1 that were submitted by the members of the town --
2 and I don't recall the exact date of that meeting.
3 It was approximately -- it was on October 19th --
4 I recall discussing specifically the generation
5 that's retiring in Connecticut and also
6 specifically mentioning in my response to those
7 questions to the public that there were two new
8 facilities in Connecticut that were previously
9 approved, and that would be Towantic and one of
10 the Bridgeport Harbor units.

11 DR. KLEMENS: Well, you used the same
12 thing at your public hearing, the same map. It
13 seems to me that if they were coming on, you would
14 at least give a balanced viewpoint. That's just
15 my opinion. You can take it for what it's worth.

16 THE WITNESS (Bradley): Right. The map
17 that we used at the public hearing is provided by
18 ISO New England which is only intended to show at
19 risk or retiring.

20 DR. KLEMENS: All right. That's my
21 comment.

22 Let me move to the letter that you
23 received as a segue to discuss the pipeline which,
24 although I voted to move to deny the two
25 petitions, or whatever you want to refer to them

1 as, to not go forward based on it doesn't obviate
2 the need for us to look at this.

3 Now, Ms. Cartledge, Pamela Cartledge of
4 the Pomfret Conservation Commission, had concerns
5 about how this crosses the Quinebaug River and the
6 wetlands. And my first question is, doesn't this
7 pipeline go in or near what's designated as a
8 critical habitat area? As a matter of fact, I
9 believe you discuss that on your response to
10 Council Interrogatory Number 53, you actually
11 discussed that floodplain of the Quinebaug River
12 as a critical habitat area.

13 So is the pipeline going through that
14 mapped -- it exists now, I realize. Is it going
15 through what is classified as a critical habitat
16 area?

17 THE WITNESS (Gresock): It's our
18 understanding that the crossing of the Quinebaug
19 River will be directionally drilled. And in terms
20 of looking at the resources, I'm sure the drill
21 will be designed so that it avoids anything that
22 would be particularly sensitive.

23 DR. KLEMENS: Is the pathway on figure
24 8-1, page 168, is that pipeline pathway going
25 through floodplain wetlands that are part of the

1 critical habitat area?

2 THE WITNESS (Gresock): It does cross
3 that area, yes.

4 DR. KLEMENS: It crosses the area. You
5 can talk about how you're going to protect them.
6 That's a separate question. But right now my
7 question is that is one in the same, that pipeline
8 does cross through the critical habitat area, the
9 existing pipeline?

10 THE WITNESS (Gresock): It appears to,
11 yes.

12 DR. KLEMENS: Would it be possible --
13 we didn't see it. Is it possible that we can get
14 a bit more information, photographs, pictures, or
15 some understanding of what this is, particularly
16 as there's going to be digging associated with
17 part of it? I understand part of it is going to
18 be directional drilling. But I'm particularly
19 concerned.

20 Are you aware of the population of wood
21 turtles that exists -- what is it, Cotton Ridge
22 or -- on Cotton Ridge Road, in that area, that
23 there is a population of wood turtles in that
24 section of the Quinebaug, and how will you protect
25 them against incidental take?

1 THE WITNESS (Gresock): So we don't
2 currently have the rights to enter onto those
3 properties and provide photographs. So because
4 this is an element of work that will be conducted
5 by others under rights that they have, I don't
6 believe that we would be able to do that at this
7 time.

8 DR. KLEMENS: So there's really no
9 information that's been -- you can't provide
10 information on amount of wetland potential impact,
11 amount of wetland digging, how you're going to
12 protect the wetlands, how you're going to protect
13 the wood turtles, you're saying we have to wait
14 for another day to get that plan?

15 THE WITNESS (Gresock): We don't have
16 details about that information, but we do know
17 that this is the kind of work that is considered
18 and completed all the time by this entity, and
19 that we know they will need to receive all of the
20 appropriate approvals prior to the work being
21 implemented. Because this is an underground
22 feature, it doesn't mean that it won't have some
23 surface disruption in terms of the placement, but
24 it does mean that working within an area that's
25 been previously disturbed for the existing

1 pipeline, that can be minimized, it can be
2 temporary, and there are measures that can be
3 applied in order to minimize a whole wide range of
4 potential effects.

5 MR. BALDWIN: And Dr. Klemens, just to
6 add to that, we certainly will pass those concerns
7 along to the Connecticut Yankee Gas Company who
8 will be ultimately responsible for that separate
9 filing. And we can do some exploration and have
10 some additional information, I'm sure, for you to
11 discuss those issues in a little bit more detail
12 next time, but that will be more thoroughly
13 investigated as a part of that future application.

14 DR. KLEMENS: I understand it, and I
15 understand the arguments you made in your
16 response. Okay. Well, my concerns right now will
17 be the wood turtles, will be the wetlands, the
18 wetland restoration, and the control of invasive
19 species as part of your disturbance. So those are
20 all things that I would hope you would consider,
21 at least in my wheelhouse.

22 So let's go to Volume II of Appendix F,
23 which Mr. Logan mentioned earlier. And if you
24 could turn to Attachment E, A-2, page 5 of 7.

25 THE WITNESS (Gresock): I'm sorry.

1 Which one again?

2 DR. KLEMENS: Attachment E, Table A-2,
3 page 5 of 7. This is the table of the wildlife
4 inventory.

5 THE WITNESS (Gresock): So within
6 Appendix F-1?

7 DR. KLEMENS: Correct, Appendix F-1,
8 Attachment E. It's a complex taxonomy of paper.

9 THE WITNESS (Logan): Sorry, Dr.
10 Klemens. You're looking specifically at Table
11 A-2?

12 DR. KLEMENS: That is correct, A-2, my
13 favorite creatures. And noting on page number 7
14 of 7, you're citing Klemens M.W. 1993 as helping
15 you compile this table, which is my 1993 book,
16 which I went through and looked and have questions
17 why certain things are or are not on this list. I
18 realize we do actual lists, and then we do
19 potential lists, but the potential lists on this
20 one, some of it give me pause.

21 For example, if you look on page 47,
22 bulletin 112, you'll see *Ambystoma opacum*, marbled
23 salamanders, as being in Killingly, yet I see --

24 THE WITNESS (Gresock): I'm sorry.
25 Where is that reference?

1 DR. KLEMENS: Bulletin 112, page 47.
2 It's administratively noticed. It's Item number
3 67 and extensively cited by Mr. Logan.

4 On page 47 the marbled salamander,
5 another vernal pool obligate, is cited as
6 occurring in Killingly, yet it's not even within
7 the list of potentials. Is there a reason why?

8 THE WITNESS (Logan): Honestly, in
9 retrospect that's probably an omission.

10 DR. KLEMENS: Okay. We can correct
11 that, I assume.

12 And how about we look in the same
13 volume at page 65, and we'll see the spring
14 salamander there just east of Killingly. And
15 there's quite a discussion about Killingly and
16 spring salamanders. So can we look at that also?

17 THE WITNESS (Logan): I think after our
18 previous discussion, we can.

19 DR. KLEMENS: Great. Let's take a look
20 at the newt, which is curiously absent on here
21 also. It's on all the neighboring towns around
22 Killingly. Is there a reason that's not on there?

23 THE WITNESS (Logan): There's a reason
24 for it. I didn't find it.

25 DR. KLEMENS: But it potentially could

1 be there based on all the dots on the map that are
2 around Killingly.

3 THE WITNESS (Logan): Based on my
4 experience of where I've typically found newts, in
5 a pond with a preponderance of fish and other
6 predators, I usually don't find newts. It doesn't
7 mean they can't be there.

8 DR. KLEMENS: But we're also talking
9 about red efts, we're talking about the whole --

10 THE WITNESS (Logan): The whole thing,
11 exactly. And obviously efts would be pretty
12 conspicuous. I did not see any of those in my
13 160-plus hours of field work.

14 DR. KLEMENS: So it's your contention
15 they're not there even though they are shown --

16 THE WITNESS (Logan): Yes.

17 DR. KLEMENS: Let's move to snapping
18 turtles, painted turtles, both of those show as
19 being quite widespread, and musk turtles, in
20 Killingly. Any potential for those there?

21 THE WITNESS (Logan): Again, I think it
22 goes similarly to my response to a previous
23 question. The only habitat that I saw on site was
24 the pond with some minor exceptions in a couple of
25 other --

1 DR. KLEMENS: You don't think they
2 could be coming from the Quinebaug River to
3 utilize portions of the property?

4 THE WITNESS (Logan): That is possible.
5 However, it's quite steep between -- as you come
6 up from the Quinebaug River. So there's a
7 principle of ecological conservation that comes
8 into place at that point.

9 DR. KLEMENS: All right. I just want
10 to go through. I want to get this all
11 straightened out.

12 Worm snakes, they occur in Putnam, they
13 occur right over the line in Rhode Island. Again,
14 this is on page 214. Is there any reason why you
15 wouldn't expect worm snakes?

16 THE WITNESS (Logan): You're probably
17 right about that one. That would be an omission.

18 DR. KLEMENS: How about water snakes on
19 page 240 in Killingly?

20 THE WITNESS (Logan): Again, that goes
21 to my previous, the only habitat that I found
22 where they would congregate would be the pond, and
23 I did not find any --

24 DR. KLEMENS: They do like to eat fish,
25 don't they?

1 THE WITNESS (Logan): They do like the
2 fish, and occasionally they will go a long
3 distance to find them, but I did not find a
4 permanent pond or similar habitat in close
5 vicinity to the site or else I would have --

6 DR. KLEMENS: But you just were saying
7 that it's a man-made pond. So what is this, a
8 man-made pond or a --

9 THE WITNESS (Logan): It is a man-made
10 pond.

11 DR. KLEMENS: So there is a pond?

12 THE WITNESS (Logan): There's a pond.

13 DR. KLEMENS: And a vernal pool.

14 Okay. Let's talk about the switchyard.
15 There's a lot of open wetland habitat. Did you
16 consider the possibility that ribbon snakes might
17 occur there in the switchyard in that habitat
18 which is a state special concern species?

19 THE WITNESS (Logan): My experience
20 with ribbon snakes, they tend to like areas that
21 at least have a little bit of semipermanent water,
22 maybe not permanent situations. They like to be
23 along river floodplains, the wet meadows near
24 river floodplains, et cetera. Where I've seen
25 ribbon snakes before on a dozen occasions or so in

1 Connecticut I've never found them in this kind of
2 meadow scrub shrub habitat with just barely an
3 intermittent stream.

4 DR. KLEMENS: They are very difficult
5 to find and survey.

6 THE WITNESS (Logan): Sometimes they
7 like to appear when I least expect them though.

8 DR. KLEMENS: Would it shock you if I
9 told you that in a very similar habitat, Docket
10 192, ribbon snakes were not reported and were only
11 found when they put up large arrays of silt fence
12 in a very similar habitat, and all of a sudden
13 ribbon snakes started showing up along the silt
14 fence. Would that surprise you?

15 THE WITNESS (Logan): Not if you said
16 it, no, it wouldn't.

17 DR. KLEMENS: Well, I mean, that's what
18 I'm saying. I mean, so it is possible, you
19 wouldn't discount the possibility that you could
20 have ribbon snakes in that habitat?

21 THE WITNESS (Logan): Based on what you
22 just said, which kind of cures my experience a
23 little more, I would say there's a remote
24 possibility.

25 DR. KLEMENS: So that's something one

1 should consider also.

2 How about spotted turtles in those same
3 habitats, intermittent streams, animals that have
4 wide home ranges, spotted turtles and ribbon
5 snakes?

6 THE WITNESS (Logan): Again, my
7 experience with spotted turtles in Connecticut,
8 they like vernal pools, for instance. So I did
9 check in those habitats and did not find them. It
10 doesn't mean they're not necessarily there,
11 because they can be quite cryptic. So you have to
12 basically either trap them purposefully with
13 turtle traps or make a lot of dip netting and try
14 to find them. Which in the man-pond pond or
15 whatever we want to call it, I did do that,
16 because I was curious as to whether any turtles
17 might be there. But we're talking about the
18 switchyard site now. We're not talking about --

19 DR. KLEMENS: We're actually talking
20 about the site because how far are the switchyard
21 wetlands from the wetlands on the site proper?
22 How many linear -- as the turtle crawls?

23 THE WITNESS (Logan): As the turtle
24 crawls?

25 DR. KLEMENS: Or as the snake slithers,

1 how many feet are we?

2 THE WITNESS (Logan): I would have to
3 look at a map, but I would say more than 1,000.

4 DR. KLEMENS: And are you aware of the
5 migration, the annual migration distances of the
6 species such as the spotted turtle on an annual
7 basis that rotationally uses different wetland --

8 THE WITNESS (Logan): Yes, I'm quite
9 aware of it.

10 DR. KLEMENS: What would the numbers
11 be?

12 THE WITNESS (Logan): Thousands of
13 feet.

14 DR. KLEMENS: So it is conceivable that
15 there are connections with spotted turtles or
16 ribbon snakes that would be connecting from the
17 wetlands on the site into the switchyard wetlands?

18 THE WITNESS (Logan): Okay. So we have
19 two things that are going on here. Number one, in
20 my inventory of the switchyard site, which the
21 habitat would be more conducive, would be a
22 preferred habitat for a spotted turtle, I didn't
23 find any spotted turtles. And there was quite an
24 effort there. As a matter of fact, I would say,
25 in my experience, this is in the top ten sites

1 that I've studied that I've spent so much time, or
2 I was allowed to spend so much time, and sniff and
3 scratch and do whatever we biologists/ecologists
4 like to do. So that's factor number one.

5 Now, factor number two is that I did
6 not see any other similar habitat that would be
7 preferred habitat for these turtles in the
8 immediate vicinity of the generating facility site
9 or the switchyard, meaning off site.

10 DR. KLEMENS: Off site, not the site,
11 not A1 or B, you're talking off site beyond?

12 THE WITNESS (Logan): Not even
13 including -- so not including D which, as you
14 know, Wetland D we only -- a little slither of it.
15 There are several more acres out on the Eversource
16 right-of-way. That doesn't qualify, in my view,
17 for a core habitat for spotted turtles. So I
18 would have to go further off site into the
19 industrial park possibly, several more thousand
20 feet away, to find potential habitat for spotted
21 turtles.

22 DR. KLEMENS: So you're fairly certain
23 that when we put up the silt fence and start
24 filling all that wetland in the switchyard, which
25 is part of your proposal, we're not going to all

1 of a sudden start to see ribbon snakes and spotted
2 turtles and that caught up behind there and say,
3 oh, wow, what have we done? How certain are you?

4 THE WITNESS (Logan): Well, you know,
5 what I would say is that there's a remote
6 possibility always. As a scientist, I can never
7 say "never" 100 percent. However, there are
8 mitigation measures that we're proposing to
9 protect for the potential incidence of the Eastern
10 box turtle. So I think we could expand those or
11 use those same ones to potentially protect other
12 species of their ilk.

13 DR. KLEMENS: But if you have to fill
14 that wetland there, which might be used, are you
15 going to create similar wetland types as
16 mitigation? Are you going to fill that sort of
17 open meadowy sort of -- what are you creating as
18 compensation? Is it compensation that's going to
19 be helpful to those species if they're there, or
20 is it just a formulaic compensation to get you
21 through the ACOE process?

22 THE WITNESS (Logan): I hope not.
23 That's not the case. I always take a lot of pride
24 in the habitats that I'm allowed to create
25 nowadays.

1 Wetland D, which we're taking, has some
2 meadow habitat obviously in it, in part. About
3 maybe a half of it is a meadow habitat. There's
4 transitional and facultative species. It's not
5 even seasonally flooded, at most, seasonally
6 saturated only in part. So we take that in mind.
7 And in the open field that I think you've seen
8 during our site work, although we didn't walk down
9 across the street --

10 DR. KLEMENS: We were short on time
11 that day.

12 THE WITNESS (Logan): I know. The sun
13 was going down rapidly. So that area, once that
14 area is utilized for construction-related
15 activities, for parking, and that has gone by,
16 we're proposing something in the order of, at last
17 count, more than 18,000 square feet of wetland
18 habitat to be created. So that's moderately well
19 drained soil out there, so you don't have to do
20 much to create a wetland habitat. So we're
21 looking at open wet meadow habitats, we're looking
22 at a little bit of marsh with a couple of stumps
23 and also for a scrub shrub component to it.

24 DR. KLEMENS: So you're creating a
25 great habitat --

1 THE WITNESS (Logan): I believe we're
2 creating habitat that's better than what we're
3 taking by an order of magnitude.

4 DR. KLEMENS: I always get very nervous
5 when people say they can do better than nature,
6 but okay.

7 THE CHAIRMAN: My stomach is getting
8 very nervous. So we're going to break for lunch
9 now. We're going to resume at 1:45.

10 THE WITNESS (Logan): We apologize for
11 the lengthy answers.

12 (Whereupon, the witnesses were excused
13 and a recess for lunch was taken at 12:57 p.m.)

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 1:47 P.M.

3 THE CHAIRMAN: I'd like to call the
4 meeting back to order.

5 Dr. Klemens, you said you were finished
6 with cross-exam, or are you being slightly
7 disingenuous?

8 DR. KLEMENS: I'm being slightly
9 disingenuous. I just want to ask one more
10 question, actually just a summary question just to
11 be clear. We're going to get those three vernal
12 pool analyses we requested, and we're also going
13 to update and correct that table with the various
14 amphibians and reptiles we discussed. Is that
15 correct? And it's going to be submitted?

16 THE WITNESS (Gresock): The plan is for
17 the off-site vernal pool, the vernal pool within
18 Wetland B, and for the pond, to conduct the
19 calculations in a tabular format relative to the
20 Calhoun and Klemens methodology, yes.

21 I had not understood that we were going
22 to resubmit the table. Certainly we've had some
23 discussion about potential species that could
24 or -- you know, that may or may not have the
25 potential to be there.

1 Is that a request?

2 DR. KLEMENS: Just a question. A
3 request it doesn't have to be. But I think seeing
4 we went over this table in great detail, and there
5 were things that were -- Mr. Logan admitted or
6 conceded they should have been there. And as this
7 is a proceeding with quite a bit of public
8 scrutiny, I think it would be useful to have it
9 corrected.

10 THE WITNESS (Gresock): Okay. We can
11 certainly do that. I had not understood that that
12 was a request so that's why --

13 DR. KLEMENS: Well, no. Actually I
14 thought about that. We ended somewhat quickly for
15 lunch, and I want to make sure after all of that
16 that we have something in the record, not just for
17 us but for the public.

18 THE WITNESS (Gresock): Fair enough.

19 DR. KLEMENS: Thank you.

20 No further questions, Mr. Chairman.

21 THE CHAIRMAN: And Mr. Silvestri I
22 think has a request for a Late-Filing on
23 graywater.

24 MR. SILVESTRI: Yes. Thank you,
25 Mr. Chairman. I can't quite read the name tags,

1 but I think it's the gentleman next to Chris.
2 Actually right there would be -- yeah, Richard.

3 THE WITNESS (Rega): Chris.

4 MR. SILVESTRI: When we were talking
5 earlier about the graywater, if I understood
6 correctly, there's a potential that it could be
7 used as a primary source. Am I correct on that?

8 THE WITNESS (Rega): That is certainly
9 a potential.

10 MR. SILVESTRI: Is there either an
11 engineering study, a feasibility study, et cetera,
12 that you folks could supply to the Siting Council
13 as a filing so we could see in more detail what
14 that would entail?

15 THE WITNESS (Rega): There's not one
16 available at this time. There is some information
17 that is being considered now. As mentioned
18 earlier, we were doing some -- we are doing some
19 sampling of the effluent from the Killingly
20 Wastewater Treatment Plant, but there's not been a
21 study that's been completed yet, but there is some
22 study ongoing.

23 MR. SILVESTRI: What would be a
24 potential time frame for that study to come to
25 completion?

1 THE WITNESS (Gresock): I mean, there
2 is an evaluation, of course, that was provided in
3 Section 5 of Appendix H-3 that provides the
4 initial engineering assessment. And I think part
5 of Chris's hesitation is that we're in the process
6 of gathering water quality information from the
7 wastewater treatment plant. And of course one of
8 the factors when you're considering the potential
9 for use is to determine over time what the
10 variability of the quality and flow is from that
11 source which is one of the reasons why it's under
12 evaluation, but it's not something that is
13 immediately available.

14 MR. SILVESTRI: So while you have maybe
15 a high level scope of what could be done from an
16 engineering side, the issue is to try to get
17 representative samples of the graywater, figure
18 out what type of analyses would need to be done to
19 then clean that up, shall we say, before it could
20 be used. Is that correct?

21 THE WITNESS (Rega): Yes, I think
22 that's a good summary. And that's certainly in
23 the technical nature as well, you know, the
24 ability of that water to be used, what type of
25 equipment will be required, what type of equipment

1 will be required to transfer that water to site,
2 discharge. There's a number of things that we
3 would need to look at, but certainly as was
4 mentioned, we certainly want a good representative
5 sample of that wastewater to understand that it's
6 feasible to use and what the equipment would be
7 throughout -- ideally we'd love to have a year's
8 worth of data, of course, to cover all of the
9 seasons, but that will be something we'll continue
10 to look at.

11 MR. SILVESTRI: So there's nothing on
12 the short term that would be able to be provided
13 other than what was in the appendix already?

14 THE WITNESS (Rega): I think that's a
15 correct statement.

16 MR. SILVESTRI: One other question on
17 that. The volume that's out there from whatever
18 sources that you're looking at, possibly the WTP
19 or other, is it sufficient volume to operate what
20 you need it for?

21 THE WITNESS (Rega): Yes, there appears
22 to be sufficient volume, yes.

23 MR. SILVESTRI: Year round?

24 THE WITNESS (Rega): Year round,
25 correct.

1 MR. SILVESTRI: Okay. I think I'm all
2 set, Mr. Chairman.

3 MR. BALDWIN: Mr. Chairman, just to
4 clarify, to the extent that there is additional
5 existing information or information that is easily
6 obtainable between now and the next meeting,
7 perhaps we can offer to pull that together and get
8 us at least part of the way there. It sounds like
9 we have a lot of that information somewhat
10 available. The testing obviously is a little bit
11 beyond that. I just want to make sure that we are
12 in a position to provide something --

13 THE WITNESS (Gresock): So really much
14 of the information is already generally reported
15 in the application. And I think that the major
16 information we need is the sampling over time.
17 It's absolutely the case that projects such as
18 this can utilize treated effluent when the source
19 has a consistent enough water quality and flow
20 over time such that one can design a treatment
21 program that doesn't have to drastically change
22 depending upon the wastewater treatment plant's
23 operation.

24 And I think that we have very limited
25 samples at this point. We have an ongoing

1 program. We've identified the parameters that are
2 being tested, but we don't really have a lot of
3 information that would be particularly meaningful
4 to provide unless you think otherwise, Chris.

5 THE WITNESS (Rega): No, agreed.

6 MR. SILVESTRI: Counselor, I appreciate
7 that if there is something else that comes to
8 mind, and you do have it, that you could forward
9 it. That would be appreciated.

10 THE CHAIRMAN: Mr. Levesque has a
11 question.

12 MR. LEVESQUE: I had a question because
13 it's on the same subject. In Tetra Tech's report
14 on the water study regarding the Putnam Wastewater
15 Treatment Plant effluent, you said that subsequent
16 communications have indicated treated effluent
17 from this facility may be reserved for another
18 purpose. What purpose was that?

19 THE WITNESS (Mirabito): They didn't
20 indicate to us what that purpose was, but that's
21 what stopped the conversations.

22 MR. LEVESQUE: Another possible
23 customer?

24 THE WITNESS (Mirabito): Correct.
25 That's our understanding. They didn't tell us

1 what customer.

2 MR. LEVESQUE: Okay. Thank you.

3 THE CHAIRMAN: Okay. I'd like to now
4 continue.

5 MR. HARDER: Am I going to have to wait
6 until later until my turn? I had a question on
7 this issue.

8 THE CHAIRMAN: If it's just on this
9 issue, okay.

10 MR. HARDER: I'm wondering, do you look
11 at the use of the treated wastewater -- first of
12 all, I think you mentioned two possible sources,
13 one Frito-Lay and the other Killingly Sewage
14 Treatment Plant, is that correct, as far as
15 possible sources of treated wastewater?

16 THE WITNESS (Rega): We certainly
17 considered both. We took a quick look at the
18 effluent from Frito-Lay. And the problem is with
19 the processing they have there were a couple of
20 issues. One is the type of water that comes out
21 of there is not really suitable for power plant
22 makeup. The other was they do have outages during
23 the year, so it wasn't a reliable source of water.
24 So the source that we're focused on now is the
25 Killingly Wastewater Treatment Plant.

1 MR. HARDER: Would you say that's the
2 most likely alternative source?

3 THE WITNESS (Rega): The most likely
4 alternative, yes, yes. We still strongly believe
5 in the Connecticut water source, but that would be
6 the first alternative.

7 MR. HARDER: Where would you go if that
8 was not available for whatever reason, technical
9 or otherwise?

10 THE WITNESS (Rega): If both of those
11 options are not available? I don't understand the
12 question.

13 MR. HARDER: The Killingly switching
14 plant effluent, if that was not available?

15 THE WITNESS (Rega): Well, again, our
16 first source of water is Connecticut Water.
17 Killingly Wastewater Treatment plant being an
18 alternative.

19 MR. HARDER: I'm wondering if you need
20 an alternative to Connecticut Water, what would
21 that be?

22 THE WITNESS (Mirabito): I mean, I
23 guess we could perhaps take another run into
24 Putnam Waste Treatment Plant to see if their
25 interest has changed. We also could take a look

1 at the various surface water or a well source.

2 And we discussed those options in the report and
3 the reasons why those were deferred to the
4 Connecticut Water option.

5 MR. HARDER: Thank you.

6 THE CHAIRMAN: We'll continue with the
7 cross-examination starting with Senator Murphy.

8 SENATOR MURPHY: Thank you,
9 Mr. Chairman. A number of my questions were sort
10 of touched on or covered already to a sufficient
11 degree, but there's one other item that I'd like
12 to touch on. It's more of a statement really, and
13 the panel can comment on it.

14 But this application to me, one of the
15 important things for us to make a determination is
16 on need, and I think this whole thing does a
17 pretty poor job of that. Basically as I peruse
18 through the volumes of material, there's not very
19 much on that. And it seems to be that the
20 applicant is resting upon the presumption that in
21 the forward capacity auction coming up in February
22 they're going to make the cut and that, per se,
23 means they are needed. And that's an assumption
24 that I just don't agree with at all. And I want
25 to make that very clear. And it says that in here

1 that you presume that you're needed if you get it.
2 Because to me the one who makes the auction cut
3 just outbid other people. That's really what it
4 comes down to, in my judgment. And things can be
5 arranged so that they may not be the real numbers
6 that you have to bid, but it gets you in the door,
7 and if you -- per se, then you're needed, and you
8 go from there.

9 There's a couple of interrogatory
10 questions dealing with the units throughout the
11 ISO territory that are shutting down, and what
12 have you, and the response, for the most part,
13 deals with those that have already shut down. And
14 we know who those are. And it does mention those
15 that are going to -- that are at risk. There's no
16 dates given for these at-risks, and I understand
17 that there can't be any dates, and I'm not
18 faulting you on that.

19 But what it doesn't deal with, and what
20 I think this Council really needs to make a
21 determination of need, is where the megawatts to
22 be put out, if this facility is approved, fits in
23 with what's online now and what's coming online.
24 Because we know as Council members that we have
25 approved, you know, the change in circumstances so

1 that Towantic is now being constructed. And the
2 interrogatory response indicates that Bridgeport
3 is closing down, but the coal plant in Bridgeport
4 closes down when the facility that we approve goes
5 on. So really I'll have to indicate that a loss
6 in capacity is not really there. And so I just
7 don't feel that we have been painted an accurate
8 picture of where this fits in, and as far as I'm
9 concerned, that's the important thing.

10 Going back again to the forward
11 capacity auction, as I said before, I don't think
12 that if they make the cut that that necessarily
13 means that they are really needed. And I'm not
14 singling out this project. I'm talking about just
15 conceptually. Because it may be convenient to
16 underbid, and they can work out scenarios where
17 their overhead is not what it's really supposed to
18 be and so forth. It gives a perspective in your
19 application as to where they feel they're going to
20 fit in, and they're probably accurate on that.

21 But I also think personally the fact
22 that someone bids in successfully in this forward
23 capacity market, if there -- in the circumstances
24 such as your client looking to come online, and
25 they narrowly bid out somebody that's online of a

1 similar type of facility, similar capability,
2 similar pollution and so forth, that it may be a
3 mistake for the overall system to award it to
4 someone who for not very much in the way of a bid
5 goes forward and is constructed and we end up with
6 a couple of plants operating at far undercapacity.

7 And I'm just trying to give you the way
8 I'm thinking on this thing. And need is a crucial
9 thing here. And in reading this thing, I was just
10 amazed how little there was in here. And so I
11 guess I'm asking you to -- I think your clients
12 are listening to me -- to draft something up and
13 give us what I have tried to explain to you is the
14 way I think we have to take a look at this
15 application and how this proposed project here in
16 Connecticut fits in with what's online, what
17 apparently is going to stay online, and what's
18 going to be online a little before them or at the
19 same time they are, and what have you.

20 And with that, shoot me down.

21 MR. BALDWIN: Thank you, Senator. We,
22 of course, appreciate your candid comments. We
23 believe certainly that the application contains a
24 substantial amount of information on that issue.
25 And they're very complicated issues, we

1 understand, but we do have folks here that can
2 address those issues for you. And I think what
3 I'd like to do is ask our witnesses to step
4 through what has been provided in the application,
5 perhaps explain in terms that I can understand
6 what it all means, because if --

7 SENATOR MURPHY: We lawyers have
8 problems.

9 MR. BALDWIN: We lawyers have problems
10 with these types of things, don't we Senator?
11 Yes. But I think the information is there, so
12 I'll respectfully disagree with that point. But
13 let's talk about it, because I think it's
14 important to get this information on the record.
15 It's important for everyone on the Council and at
16 these tables to understand and hear that
17 information. Mike Bradley and Ethan Paterno have
18 put a lot of time and effort into that. So let's
19 spend some time, if we could, Senator, talking
20 about that?

21 SENATOR MURPHY: Dr. Klemens has
22 already kind of indicated that some of the things,
23 you know, at the different hearings and that, but
24 anyway let me shut and listen.

25 THE CHAIRMAN: Mr. Silvestri, do you

1 have a specific --

2 MR. SILVESTRI: Counselor, before you
3 actually ask, I just want to pick up what was
4 mentioned already. In looking at the regional
5 electric generation needs, this exhibit that was
6 presented during public meetings, there's things
7 that are missing. And again, as was mentioned,
8 Oxford, the Towantic plant, is not here, the
9 Bridgeport unit 5 isn't here. But also when I
10 look, for example, at Unit 2 being closed, I
11 believe it was officially quote/unquote retired at
12 the end of 2013, but the unit didn't make
13 megawatts at all for probably like five years
14 before that. A number of the power plants that
15 are listed on this curve are not running at 100
16 baseload type capacity, they're running much much
17 lower. New Haven is less than 8 percent. I'm
18 sure Montville, Middletown might be in the same
19 boat.

20 So when I look at the total megawatts
21 that are on their way out, I kind of disagree
22 because a lot of them are already gone because of
23 the low capacity factors that are there. And I
24 tie that in as well to the emission aspect of it
25 where we have different emissions that are going

1 to be saved because of the new plant. In
2 comparison to what? In comparison to the plants
3 that are here that are running at 100 percent
4 capacity, or the way they are right now?

5 So if you could mold that into what the
6 Senator's concerns were and to what mine are with
7 the specifics on that, that would be most helpful.

8 THE CHAIRMAN: I'm not sure how exactly
9 we're going to do it because the bulk of my
10 questions also relate to need. And I also
11 agree -- I haven't done this before, but I decided
12 I'd weigh the paper. It came to -- and mine is
13 incomplete. It came to 22 pounds. I weighed the
14 amount on need, other than what you sent us on
15 ISO, you know, you just send us report after
16 report of ISO -- was in the ounces. And I know
17 that's not necessarily a measurement, but it was
18 thin.

19 So I have other questions. I don't
20 know if you want to start, because I do like to go
21 around and get everybody's comments on. But if
22 you want -- Senator Murphy started this -- you
23 want to respond to Senator Murphy, and then I'll
24 throw out more later?

25 MR. BALDWIN: Well, I think --

1 THE CHAIRMAN: I'm not sure the best
2 way to -- the most efficient way to handle this.

3 MR. BALDWIN: Let me offer this,
4 Mr. Chairman. I think clearly it's something we
5 need to address, and I would like to address it
6 now because it's very very important to the
7 Council, it's very very important to NTE. Let's
8 talk about it. And to the extent that if we hit
9 on one of the questions that you're asking in
10 particular, we can address that specifically. If
11 you hear something that reminded you of another
12 question, I would ask that you jump in and stop us
13 so that we can address your concerns as we go
14 through this discussion. That might be the most
15 efficient way that we can deal with it with a
16 little leeway, certainly not coming from me, but
17 coming from our witnesses as direct testimony and
18 response to your questions. Perhaps we could
19 start that way.

20 THE CHAIRMAN: Let's start that way.

21 MR. BALDWIN: Mike.

22 THE WITNESS (Bradley): Yes. Can
23 everyone hear?

24 There are several components to this
25 question, needless to say. So I think just to

1 preface the conversation, which may be a fairly
2 lengthy conversation, I would like to address the
3 map that's been shown a couple of times from ISO
4 New England and what that means, and then discuss
5 the continuation of the earlier conversation on
6 the various components of need, both in the
7 forward capacity auction and then outside of the
8 forward capacity auction, and then I think hand it
9 over to Mr. Paterno to address specifically the
10 Senator's discussion and questions on how the
11 forward capacity auction bidding strategy works,
12 the demand curve, and those type of things.

13 Does that sound like a reasonable
14 breakup for everyone?

15 The first thing I'd like to address is
16 the map that was provided in the ISO New England
17 documents that shows the expected and current
18 retirements by ISO New England. So what that map
19 shows are facilities that have retired or in the
20 process of retiring or facilities that the ISO New
21 England expects will retire in the very near
22 future, and I believe that is by 2020 is the date
23 that they show for the expected retirements of
24 approximately 6,000 and then the current ongoing
25 retirements as well.

1 And so taking that information, it only
2 shows retirements. It's not intended to depict a
3 full picture of need as far as supply demand
4 resources that are coming in in addition. That is
5 one component that the ISO uses in their
6 information. To carry that one step further and
7 hit on the load factor versus capacity, because I
8 think that's a very important part of the overall
9 discussion, the older facilities that are listed
10 on there that were mentioned have a very low load
11 factor. I think there was a statement that they
12 really haven't been available. Those facilities
13 are technically available to ISO New England for
14 reliability purposes. They've cleared the
15 auctions. They're part of the resource group.
16 They operate at a very low load factor because
17 their dispatch cost is higher than other
18 generating resources in the fleet, as you would
19 expect with a peaking type resource for
20 reliability or emergency or during periods of
21 higher demand and higher energy usage. I think
22 the fundamental concepts there are you've got
23 capacity to meet reliability on one hand at the
24 time of the summer or winter peak, and then you've
25 got energy that occurs throughout every hour of

1 the year. And to meet the energy, resources are
2 dispatched from lowest cost to highest cost,
3 generally, with a few exceptions here and there
4 for reliability or location or must-run
5 parameters. But the resources that are shown that
6 are at risk for retirement have not operated other
7 than at the extreme time of the peak, and that's
8 why they are at risk for retirement in a lot of
9 cases. They're not economical. They cost a
10 significant amount of money to keep those
11 operational for a very short period of time. They
12 also are not in many cases clean operating units.
13 They operate on oil in most cases or coal. So
14 emissions are very high, thus the dispatch cost is
15 very high.

16 You can think of that concept like a
17 manufacturing process, if you will, where you've
18 got very old equipment, very old factories that
19 produce a very high cost product, somewhat
20 unreliable product in many cases. They don't
21 produce, say, nearly as much steel or nearly as
22 much plastic or nearly as many Fritos as say a
23 newer facility that was built 40 years later, per
24 se. That's what goes on with the electric power
25 system as well. You've got the new highly

1 efficient natural gas machine such as Killingly
2 with dual-fuel capability. So you're replacing
3 that older manufacturing -- you're manufacturing
4 electrons, they're manufacturing electrons -- with
5 newer equipment that is lower cost, more reliable.
6 It meets the needs of the system by providing
7 dual-fuel capability. So we replace -- other
8 facilities like us that are dual-fuel -- replace
9 those older units that only run eight or ten
10 percent of the time because we've got that
11 reliability but, on the other hand, the other 90
12 percent of the time that those units may not be
13 running, we would be running, Killingly would be
14 running on natural gas at an extremely low
15 generation cost.

16 So if you look at kind of the ripple
17 effect of pricing, Killingly's cost of generation
18 is significantly below the average cost of
19 generation on an hourly basis of the ISO New
20 England system. So we're going to be averaging
21 that cost for the whole system down by generating
22 electricity at significantly lower than system
23 average while still providing the reliability and
24 the emission savings that are inherent with those
25 generating units that are running at a very low

1 load factor that don't recover the revenue from
2 energy necessary to keep them running on a
3 long-term basis and that ISO has listed at risk.

4 That's particularly important in that
5 case to the State of Connecticut because a couple
6 thousand megawatts of these units that are labeled
7 at risk are in Connecticut. When you look at
8 those units with the two units that have already
9 retired, that's about 30 percent of the state's
10 generation that's oil fired or coal fired that's
11 at risk. And so if that generation goes, even
12 though they're the two facilities that were
13 previously mentioned that are coming back in,
14 you're still looking at a little over a 20 percent
15 net reduction in generation in Connecticut if
16 those facilities are removed.

17 So that's kind of a long answer to
18 that's why it's important to look at that
19 particular map for what could retire, but also
20 understand that Towantic, the new Bridgeport unit
21 and Killingly brings something to the table as far
22 as in Killingly's perspective dual-fuel capability
23 and the very low cost production with very low
24 emissions from natural gas that those older units
25 that are running at a very very load factor don't

1 bring.

2 MR. SILVESTRI: Here's my disconnect
3 though.

4 THE WITNESS (Bradley): Okay.

5 MR. SILVESTRI: If you talk about the
6 older units not running, all right, they might run
7 in the wintertime. The polar vortex would be a
8 great example.

9 THE WITNESS (Bradley): Correct.

10 MR. SILVESTRI: They might run on a hot
11 summer day when ISO is stressed for power,
12 otherwise they might not run at all.

13 THE WITNESS (Bradley): That's right.

14 MR. SILVESTRI: So if Killingly comes
15 on line, who is it replacing?

16 THE WITNESS (Bradley): Killingly will
17 fall into the dispatch stack somewhere above
18 nuclear, clearly, because we'll have a higher
19 generation cost than nuclear. Then we would fall
20 in, I would imagine -- and Ethan, correct me if
21 I'm wrong here -- that we should be in that next
22 dispatch stack of highly efficient gas combined
23 cycles right above nuclear. There could be some
24 coal that would have a lower dispatch cost than us
25 from time to time.

1 THE WITNESS (Paterno): Most likely not
2 though.

3 THE WITNESS (Bradley): Yeah, most
4 likely not. So the older generating facilities
5 that are, you know, much newer, much more
6 efficient than, say, the old steam oil-fired
7 boilers are going to bump up the dispatch stack.
8 So we'll come in below them. So from an overall
9 perspective, you're just moving less efficient
10 units up the dispatch stack. And it's kind of
11 that natural progression as you bring in new
12 manufacturing facilities. There's only so much
13 need for product, so the output of the older, less
14 efficient facilities continue to move up and
15 produce less. So it's the natural progression of
16 modernizing the system and moving in the newer,
17 more efficient lower cost facilities to bring the
18 overall cost down for the ratepayers.

19 SENATOR MURPHY: Let me ask you though.
20 That's all well and good, but where does Towantic
21 and Bridgeport fit in? You've slid in where you
22 would be if you were approved. They're approved.

23 THE WITNESS (Bradley): Ethan, do you
24 want to address that one?

25 THE WITNESS (Paterno): Yes,

1 absolutely.

2 SENATOR MURPHY: So in looking at need,
3 I've got to say to myself they're approved, so
4 they've got to be taken into account before I
5 decide whether or not we need you also. There's
6 the question.

7 THE WITNESS (Paterno): Absolutely,
8 Senator. And they were taken into account in the
9 analysis, yes, absolutely. And in particular, the
10 way we think about capacity additions going
11 forward over time. So new power plants coming in,
12 one of the key indicators of that obviously is the
13 forward capacity auction which, as you know, runs
14 three years ahead of the commitment period. So
15 right now we know new capacity additions through
16 May 31st of 2020. ISO New England will be holding
17 its next capacity auction in February, which will
18 be procuring capacity prices for new power plants
19 June 1, 2020 through May 31st of 2021. So we're
20 taking all of that into account when we forecast
21 our need for the system.

22 Along the subject of the forward
23 capacity auction, I would also note -- and I
24 apologize if I get too technical here -- there's
25 the concept of the downward sloping demand curve

1 which recognizes that reserves in excess of the
2 minimum amount of reserves are of benefit to the
3 system so long as those reserves are procured at
4 lower pricing. So within that concept we see that
5 as new power plants such as Killingly come into
6 the market, it increases the reliability of the
7 market because you have a greater headroom over
8 your minimum amount of reserves while
9 simultaneously putting downward pressure on
10 pricing.

11 And to Mr. Silvestri's point, I want to
12 say this now. I want to make sure I don't forget.
13 You asked a very good question, well, how do you
14 figure out the CO2 emissions, are you assuming the
15 Montvilles, the New Havens and whatnot are
16 operating at 100 percent capacity factor. And we
17 all well know they don't. We don't is the short
18 answer. We are taking into account their
19 forecasted generation, which is quite well, as you
20 pointed out, sir.

21 THE CHAIRMAN: Dr. Klemens has a
22 question.

23 DR. KLEMENS: I have a question on
24 this. So what I understand from that discussion
25 is that actually with these coming online, we're

1 actually having the ones that are at risk, we're
2 putting them, in a sense, more at risk, we're
3 pushing them out basically in a sense. What
4 you're saying is having these new facilities, many
5 of these that are so-called at risk will be more
6 at risk and maybe be eliminated, which I think
7 that's what I'm understanding. Is that correct?

8 THE WITNESS (Bradley): In part. I
9 think if you look at it, there are two ways -- and
10 we have seen this discussion frequently. I think
11 a conclusion that many people draw is that
12 facilities like Killingly are pushing the older
13 facilities out of the market and causing them to
14 retire, and that's not the case. Killingly and
15 Towantic and the other facilities are coming into
16 Connecticut as a response to the retirement of
17 these facilities. Ultimately as these facilities
18 get older, as their emissions continue to
19 increase, their operating costs continue to
20 increase, they're not going to be able to sustain
21 operation. The owners of those facilities have
22 communicated with ISO New England. It becomes
23 very clear from their operating profiles and their
24 operating costs, the maintenance costs on those
25 facilities, that they are not going to be viable

1 for an extended period of time. So facilities
2 like Killingly are being developed in response to
3 what would be occurring with those facilities
4 either way.

5 And I think the Connecticut IRP
6 actually in Strategy 3 acknowledges this because
7 Strategy 3 discusses that if the forward capacity
8 market and the ISO processes don't acquire enough
9 capacity for the good of Connecticut, then the
10 state will go out and acquire that capacity. So
11 therefore looking just at the Connecticut IRP, it
12 recognizes that these factors are going on.

13 The other factor that comes through
14 kind of as a response to your question of why the
15 plant is needed, along those lines, these
16 facilities are clearly going to go away. They
17 cannot be sustained economically. Particularly as
18 the capacity payment through the forward capacity
19 market has decreased, that puts even more pressure
20 on these facilities. These are the facilities
21 that even though they operate a very short period
22 of time, are what the ISO depends on for winter
23 reliability.

24 So therefore looking again at the
25 Connecticut IRP, I believe it's Strategy 4, the

1 next one, talks about winter reliability and the
2 importance of non-gas generation. Killingly under
3 that circumstance qualifies as non-gas generation
4 because we're dual-fuel, and so we can provide
5 that reliability. I think Strategy 4 of the IRP
6 says that the state could need to acquire, if the
7 ISO process doesn't work, as much as 5,000
8 megawatts of non-gas fired generating capacity.
9 Under that definition Killingly would apply to
10 that definition.

11 DR. KLEMENS: That leads me to a
12 follow-up question. We saw in Bridgeport where
13 they actually on the site creating new generation,
14 Petition 1218. And I'm looking at this just as
15 someone who's concerned. We're using what we
16 have, we're using damaged sites versus going in
17 and going into what's basically a greenfield site
18 such as this. And we have all these sites that
19 are being for one reason or another these plants
20 that are being phased out because they're not
21 efficient, and it's troubling -- and maybe there's
22 no way around it -- to see that we're going to be
23 inheriting lots and lots of old plants that are
24 going to have to be decommissioned, where the
25 ground has been disturbed and there's hardscape

1 and that, and instead of trying to say how can we
2 make these plants more efficient, create megawatts
3 there in situ, we're going out into the greenfield
4 and taking greenfields.

5 Now I understand there's an issue of
6 where the gas flows. I understand that's a big
7 issue. But I just wonder if any thought is given
8 to trying to use what one has, which is already --
9 when they were built they damaged the environment,
10 they've created -- the impacts are there already
11 versus creating a whole host of de novo impacts.
12 I just don't know whether that factors into
13 thinking about these things.

14 THE WITNESS (Bradley): I would like to
15 respond to the technology side of that, and then
16 maybe Mark or Lynn could respond to the siting
17 side of that.

18 But we really have no way of
19 speculating on what the owners of those facilities
20 would want to do with the site or not do with the
21 site where their generation is at. The one thing
22 that you do know kind of looking at the technology
23 that's at these various sites, it would be
24 excellent if you could update that technology and
25 get it to a point where it would be efficient,

1 such as new generation like Killingly or Towantic.

2 The fact of the matter is an older oil
3 boiler or an older even gas-fired boiler or an
4 older oil or gas-fired combustion turbine that may
5 be 20, 30, 40 years old, it's not like you can
6 take a 1975 Chevrolet Impala and make some
7 upgrades on it from the auto parts store and turn
8 it into a Corvette which, when you're looking at
9 that kind of analogy, the 30-year old generating
10 unit versus -- they could be upgraded. It would
11 take a significant amount of capital. And you're
12 still going to have very diminishing returns on
13 the actual technology side.

14 DR. KLEMENS: I think you didn't
15 quite -- I didn't imply that you just take these
16 and modernize them. I'm taking a much more basic
17 approach. You have a large area that's already
18 been damaged or built upon. It's an industrial
19 area. And I wasn't saying you have to update
20 these things. But have they thought about
21 actually using those already established
22 footprints as opposed to going and taking -- going
23 into a greenfield site?

24 THE WITNESS (Bradley): Right. And
25 that's the second part of the response.

1 THE WITNESS (Mirabito): Right. And we
2 absolutely considered those sites when we're
3 looking anywhere, not just in Connecticut. And we
4 did that in Connecticut. But as you point out,
5 the problem with some of these coal and oil-fired
6 facilities that are due for retirement don't have
7 both the transmission and gas infrastructure
8 available. Those that do are valuable to those
9 property owners, and folks like PSEG are going to
10 redevelop those sites themselves. So as an
11 independent power producer, those sites are very
12 rarely available to us, which is why we have to
13 find other alternative sites in appropriate
14 locations.

15 DR. KLEMENS: Thank you.

16 THE CHAIRMAN: Okay. I'm going to --

17 MR. ASHTON: I'm just going to pick up
18 at the site by example. The development at Devon
19 gas turbines and also another set of gas turbines
20 at Middletown, those are existing sites, but they
21 don't utilize any of the existing equipment there
22 because it's just -- they're obsolete. When I
23 started in the business, generating units were
24 producing kilowatt hours at two and a half pounds
25 of coal per kilowatt hour. And Devon 2 and the

1 Montville 3 and so forth, they're all long gone.
2 Norwalk Harbor is looked upon as the cat's meow,
3 and that's obsolete. It is just obsolete. We've
4 grown past it. And I do agree that these combined
5 cycle plants do offer about the best technology
6 available and technology which seems to be working
7 well.

8 Thank you, Mr. Chairman.

9 THE CHAIRMAN: I want to respond. I
10 was going to wait until we went around, but I see
11 we're on this topic. And I also see that you
12 talked about the State's Integrated Resource Plan.
13 It's like a lot of reports, you could always find
14 something that you like. But I'm also going to
15 quote something from the Siting Council's own
16 report. What I'm quoting is from page 3 of the
17 executive summary. And I may not have the quote
18 perfect, but I think you can understand it. It
19 says that "Connecticut will continue to have
20 plenty of capacity through 2024 and beyond due to
21 ample instate generation, low demand growth and
22 new transmission built to reduce congestion. At
23 the regional level, however, the Northeast
24 capacity surplus is rapidly dwindling. Beginning
25 in 2017, the region will face -- that's the entire

1 region, not just Connecticut -- a capacity
2 shortage of 143 megawatts, but this will only be
3 temporary. More than 1,400 megawatts of new
4 supply have been committed to enter the market by
5 June 2018. Within the Connecticut sub area no new
6 capacity will be required." That's from the
7 integrated -- that the state.

8 Now, the Siting Council forecast
9 report, Docket F-2014/2015, which this Council has
10 adopted states, and I quote -- that's on page 50
11 of the report -- "The Council has considered
12 Connecticut's electric energy future and finds
13 that even taking into the most conservative
14 prediction, the ISO Northeast 90 and 10" -- and
15 I'm sure you know what that means -- "forecast and
16 conservatively neglecting the effects of non-ISO
17 dispatched energy, the electric generation supply
18 during 2015 to 2024 will be adequate to meet
19 demand."

20 This is the State of Connecticut, and
21 this is the Siting Council spending a lot of staff
22 time looking at everything we talked about and
23 things which I'm really surprised we haven't even
24 mentioned. So far the discussion is all about
25 what's going to be retired, what's at risk,

1 nothing about other things that we've been doing,
2 we collectively, to reduce demand, and there's a
3 whole list of them, other technologies that are
4 coming online. This is not a static thing.

5 So I really think -- and I have other
6 things I want to say on this whole issue of need,
7 but I think it's woeful you've mentioned some of
8 these other things, but if you've given more than
9 a paragraph thought to them. It's all about
10 what's going to be retired, what's at risk, and
11 what's financially, but we have to look at it
12 broader. We have to balance the need with the
13 environmental issues. And you have just not -- I
14 mean, we've gotten reports, and they're not old,
15 they're recent reports, which state exactly the
16 opposite of what you've been telling us.

17 THE WITNESS (Bradley): And I wanted to
18 respond to that. As we mentioned when Senator
19 Murphy asked his questions, there were three
20 parts. We addressed the first part.

21 The second part comes to exactly the
22 topic, Mr. Chairman, that you just mentioned, and
23 that is the things other than retirements. We
24 started on the discussion of retirements simply
25 because that's the item that was presented. There

1 are a number of other things, as we mentioned
2 earlier in response to staff's questions, that
3 point to the need for the facility. As you
4 mentioned, the Connecticut IRP and other documents
5 do say Connecticut has sufficient capacity. There
6 are also points in there, as you note, where the
7 state would need to do things and is relying on
8 ISO New England to meet the reliability need of
9 the state, such as Strategy 3 and 4 that we
10 mentioned. The information that we've provided on
11 a number of things was presented by both
12 Connecticut and ISO New England. So I wanted to
13 step through now for everyone those various
14 pieces.

15 I think we hit pretty well on the first
16 one, which was resource adequacy, which comes to
17 the total amount of resources needed both at the
18 ISO level and Connecticut from requirements. Just
19 to summarize that quickly, about 20 percent net
20 with Bridgeport and Towantic coming in is at risk
21 in Connecticut. We've got that on the record, and
22 that's been very well discussed.

23 The next thing that is a major issue
24 for need is the dual-fuel capability. President
25 van Welie from ISO New England has discussed

1 extensively in a September 28th presentation in
2 New Hampshire all the way back to January of 2015
3 in various presentations that are included in the
4 documents we submitted that there is a significant
5 need in ISO New England and there's also a
6 significant need in Connecticut, as outlined in
7 the IRP documents and some of the other documents
8 that you mentioned in the various procurement
9 strategies for non-gas generation in the winter.
10 Particularly if the retirements that we discussed
11 as part of the overall resource adequacy come to
12 fruition, as everyone anticipates they will, or at
13 least as ISO and NTE and other industry experts
14 expect they will.

15 So that is the second component. That
16 really drives the need for a dual-fuel like
17 Killingly. I think right now about 45 percent of
18 the energy in ISO New England comes from natural
19 gas, which for the ratepayers in New England is
20 phenomenal that it comes from low emission, low
21 cost facilities such as Killingly, Towantic and
22 others. The overall reliability in the winter is
23 very key, because you can switch to that ULSD in
24 the unlikely event firm gas is curtailed, so
25 you've got that reliability. So that's the second

1 point of need.

2 The third point comes back to a number
3 of the things I think, Mr. Chairman, that you
4 mentioned as far as load and demand response and
5 renewables. As we mentioned in a number of the
6 documents that we've provided to the Council,
7 Killingly is a very efficient machine, very quick
8 response combined cycle ramp rate of 29 megawatts
9 per minute. That will allow Killingly to ramp up
10 and down very efficiently to maintain the
11 reliability of the system.

12 Yes, renewables are coming into
13 Connecticut and New England. Connecticut has a
14 target of 20 percent. So that's 20 percent of the
15 system that would be nondispatchable, meaning that
16 there has to be resources that would show up very
17 quickly if on a day like today clouds cover the
18 sun or if the wind is not blowing or if, in the
19 case of demand response, the end user applications
20 that take advantage of that demand response are
21 not there.

22 So looking at a minimum of 20 percent
23 of the system that would be nondispatchable, a
24 facility like Killingly takes that into account.
25 Looking on the other side, on the demand side,

1 yes, I think there have been a number of forecasts
2 that are showing around a half a percent load
3 growth in Connecticut. Looking at demand response
4 in Connecticut, both passive demand response,
5 active demand response, behind the meter solar,
6 those have been very effective programs at
7 reducing peak demand and reducing energy usage.
8 But effectively what those programs do is in
9 addition to great benefits to the ratepayers in
10 the state, they provide a great amount of
11 reliability and system operating issue for ISO New
12 England because demand response, even though it is
13 a resource that clears the auction, is still a
14 nondispatchable resource that is intermittent as
15 well.

16 So you've got demand response closing
17 in from the top, you've got renewables closing in
18 from the bottom. So what that's doing is that's
19 creating a significantly larger proportion of your
20 reliable generation to meet peak demand, to meet
21 instantaneous demand that is nondispatchable. And
22 so the older oil-fired facilities, such as we
23 discussed, that run a very low percentage of the
24 time, they just can't meet that need. They can't
25 respond where facilities like Killingly can

1 respond to that need and can meet that need.

2 In addition, and if you look at cost
3 impacts, Killingly, as we discussed, has very very
4 low operating costs. That's going to reduce the
5 cost to the ratepayers. Killingly is also a
6 facility that brings all of these benefits that
7 we've discussed in terms of need to the ratepayers
8 without risk to the ratepayers. The financial
9 risk is on NTE. So if we built the facility and
10 it never generates a single megawatt hour, the
11 ratepayers are not at risk. So in this situation,
12 thanks to the implementation of independent power,
13 we can provide these benefits to ISO New England,
14 to the ratepayers of Connecticut without putting
15 the ratepayers at risk.

16 And Mr. Paterno may have something to
17 add to that conversation.

18 THE WITNESS (Paterno): The only thing
19 I would add is on the environmental side of
20 things, as outlined in our report -- I think it's
21 in Section 2, chart 2-5 or something like that --
22 that we do show a net reduction in CO2, NOx and
23 SOx emissions. So I think there are positive
24 environmental benefits to Killingly coming into
25 the market because, along with Towantic and

1 Bridgeport Harbor Unit 5, there's not going to be
2 much, if any, thermal fossil fuel generation
3 that's going to be more efficient in producing
4 electricity.

5 THE CHAIRMAN: Just one quick thing. I
6 think -- and I don't have it in front of me -- the
7 state report, I think you skipped over either
8 number one or number two of their priority goals,
9 and that's probably the most cost effective thing
10 that we could do. That's called both efficiency
11 and conservation. If we would spend a fraction of
12 the money that you're going to spend giving
13 increased rebates for people, updating their
14 furnaces, whatever they use, putting in
15 insulation, that demand, which is part of the
16 equation, would drop.

17 And again, you're not providing a
18 comprehensive view, because those are things that
19 can make a huge difference, not only for you,
20 whether we need your project, but whether we need
21 other projects. And I know it's not part of the
22 record, but I'd like to just make mention -- and I
23 know California's energy is probably considered
24 about as foreign as if it was in China, but I
25 think it's Diablo Canyon, that nuclear plant,

1 they're proposing to -- and I don't know all the
2 details -- to shut it down and not replace it with
3 gas or -- to replace it with renewables. There
4 are ways.

5 The other problem I have with your
6 analysis is it's as if technology is static as it
7 is today, and you look at how fast we've come in
8 solar and wind and other renewables, both dropping
9 the prices and making them more efficient. But
10 some of us -- and I know there are several on the
11 Council who may disagree -- think is the Holy
12 Grail of all of this is battery storage. And I'm
13 fairly convinced that in ten years from a utility
14 base battery storage is going to be with us. So
15 technology is changing, but you're giving us, in
16 my view, a very static view of this.

17 DR. KLEMENS: Mr. Chairman?

18 THE CHAIRMAN: I'm done. Go ahead.

19 DR. KLEMENS: Mr. Bradley, you said one
20 thing that really gave me pause just two or three
21 minutes ago. That was, you said, If we build
22 this, we never generate anything, the ratepayers
23 haven't lost anything if this never gets used or
24 isn't used efficiently. But I think it gets back
25 to the environmental thing. If we build this and

1 it doesn't do anything, or does very little, we've
2 still impacted wetlands, filled wetlands, cut down
3 forest, we've damaged the public trust in the air,
4 water, natural resources of the state. We've
5 created an impact for no benefit.

6 So that gave me great pause when you
7 said that if this isn't efficient or doesn't work,
8 the ratepayers aren't hurt. Well, the ratepayers
9 aren't hurt, but the citizens of Connecticut, it's
10 the public trust in natural resources is hurt if
11 this is not something that is actually going to do
12 better for us in Connecticut.

13 THE WITNESS (Bradley): Certainly. I'd
14 like to address Dr. Klemens' question and then
15 move back to yours, Mr. Chairman, if possible.

16 THE CHAIRMAN: We do apparently have
17 more.

18 THE WITNESS (Bradley): Okay. The
19 statement that the ratepayers are not at risk is a
20 very true statement. The ratepayers of
21 Connecticut are not at risk. The example of the
22 facility not operating is simply an example to
23 show that in a situation where an asset like this
24 owned by an independent company is constructed, it
25 has no impact on the ratepayers. In reality,

1 there is not any way in the foreseeable rational
2 view of the power grid or the way the power grid
3 works that a facility that's as efficient as
4 Killingly is going to be near the very bottom of
5 the dispatch stack with very little emissions,
6 very low generating cost would not operate at an
7 extremely high capacity factor. We're showing
8 this facility to operate between 65 and 85 percent
9 of the time with the vast vast majority of that
10 being very clean natural gas and only ULSD in the
11 case of emergency.

12 So that's the clarification of the no
13 impact to ratepayers, but we do expect this
14 facility is going to run at a very high operating
15 load factor and provide significant benefits to
16 the citizens of Connecticut.

17 Mr. Chairman, if I could respond to
18 your question on the --

19 THE CHAIRMAN: You just spawned several
20 others.

21 THE WITNESS (Bradley): That's okay.
22 This is an ongoing discussion when we discuss it
23 as well.

24 So back to your question on the demand
25 response and energy efficiency and modernization

1 of technology. I think Mr. Paterno and I both
2 will probably speak to that. But on a higher
3 level, I think those are excellent programs, and I
4 think everything is needed. As originally a
5 generation planner in an electric utility, prior
6 to entering the independent power business many
7 many years ago, we looked at an integrated
8 resource plan for our utility that was filed with
9 the state commission on an annual basis. And as a
10 part of that you look at supply side resources and
11 you look at demand side resources. And what you
12 see with demand response and those type of
13 resources clearing the auction are really demand
14 side resources which are very good at reducing
15 demand. So you've got to meet it from the top
16 down with demand and from the bottom up with clean
17 dispatchable efficient generation. As those two
18 come together, the generating cost becomes even
19 more important because that's the pot of megawatt
20 hours that you've got for your ratepayers to
21 spread the dollars on, whether it's capacity
22 payments from the forward capacity market or
23 whether it's the cost of the energy that's
24 generated. As you shrink from the supply side and
25 the demand side, that becomes even more critical.

1 In terms of renewables, I think New
2 England is doing a very nice job of implementing
3 renewables, where possible, in terms of solar, in
4 terms of bringing renewables in from New York on
5 the southern side looking internal to ISO New
6 England though. You mentioned investment in
7 demand response. I think that's a very good thing
8 for the state to continue to do. I think most
9 people would agree.

10 Also though looking at renewables, as
11 many of the ISO New England reports that we've
12 provided have shown, the vast majority of the wind
13 resource and the hydro resource, wind resources in
14 Maine, I think 3,500 megawatts or so in Maine, the
15 hydro resource comes in from New Brunswick. To
16 get those resources into the bulk of ISO New
17 England where the load centers are around the
18 coast of Connecticut, around the Boston area,
19 there's got to be significant investment in
20 permitting in incremental transmission. Because
21 right now you can put thousands of megawatts of
22 wind in Maine and take advantage of that wind
23 resource, but you can't get it here.

24 So in electric grid reliability terms,
25 a resource that's efficient and generates at a

1 very low cost is great, but if you can't get it to
2 the ultimate load, then it really doesn't -- it
3 doesn't have that impact. So if ISO New England
4 were to build a significant amount of north-south
5 transmission to bring that wind from Maine down,
6 then it becomes an extremely reliable resource.

7 The other topic before I hand it over
8 to Mr. Paterno to add anything he wants was the
9 technology. We look at technology. Technology is
10 something that is continually improving. As an
11 engineer, as particularly an industrial engineer,
12 you had mentioned your stomach earlier; I'll
13 mention my wife. She's like, I live a life of
14 somebody who constantly wants to improve things.

15 So looking at this from that industrial
16 engineering perspective, what we have to go on is
17 the best manufacturing of electronic equipment
18 that's available today. We do know that gas
19 turbines will increase in efficiency. Batteries
20 will increase in efficiency. Wind turbines will
21 increase in efficiency. Technology out there and
22 advancements are phenomenal. But right now, as
23 far as NTE is concerned, as far as the Commission
24 is concerned, as far as ISO New England is
25 concerned, we have to work within the framework of

1 what we know are available and renewable resources
2 now to meet the needs of Connecticut and ISO into
3 the foreseeable future. And so that's kind of my
4 thought on the technology.

5 Ethan, would you like to add anything,
6 or Chris?

7 THE WITNESS (Paterno): Yes, just one
8 quick thing to address the Chairman's points. And
9 you make a great example, sir, on California,
10 because I think California, probably along with
11 Hawaii, is arguably the leading state in renewable
12 integration and advancing quote/unquote clean
13 technology programs, be it demand response, energy
14 efficiency, renewables. In the particular case of
15 California, battery storage, they've done
16 phenomenal in putting out RFPs on behalf of the
17 state electric utilities to try and attract that
18 stuff into the market.

19 That said -- and I don't have any
20 examples for you, and I apologize for that --
21 California continues to issue RFPs for new
22 combined-cycle technology, not dissimilar to
23 Killingly that we're discussing here today. And
24 in addition to that -- and this gets back to the
25 point Mr. Bradley made -- you get a unique

1 circumstance when you start to add large amounts
2 of renewable generation to the grid and your
3 electricity peak demand as well as average load
4 starts to decrease. And in particular, that puts
5 the reliability of the grid potentially at risk.
6 What that means in sort of independent system
7 operator parlance is you need more quick-start
8 resources. And California has actually gone out
9 there and created programs within its ancillary
10 service market to ensure that it has those
11 adequate amounts of quick-start resources to
12 effectively manage the grid for intermittent solar
13 and other types of renewable generation.

14 THE CHAIRMAN: Mr. Hannon and then
15 Senator Murphy.

16 MR. HANNON: Thank you, Mr. Chairman.
17 This is a question about need, but it's
18 looking at it sort of from a different
19 perspective. Pilgrim Nuclear, when they shut
20 down, did that come as a surprise to the industry?

21 THE WITNESS (Paterno): Not
22 particularly, no. Pilgrim is similar to Vermont
23 Yankee in that it's a smallish nuclear plant.
24 It's a single reactor unit.

25 MR. HANNON: What was the primary

1 reason that they gave for closing the plant down?

2 THE WITNESS (Paterno): I'm
3 paraphrasing here at the end of the day, because
4 it was ultimately Entergy's decision to close it,
5 I think they cited low natural gas prices.

6 MR. HANNON: So my question then is, if
7 the State of Connecticut keeps going towards new
8 gas-powered plants, what impact can that have on
9 Millstone? And then doesn't that really create a
10 need that nobody is really envisioning? And if
11 Millstone ends up going the same way as Pilgrim,
12 all the comments that you're making about some of
13 the environmental benefits of the gas plants
14 compared to oil or coal, that all goes out the
15 window if you're shutting down the biggest nuclear
16 plant in the area. So how would you respond to
17 that?

18 THE WITNESS (Paterno): You're 100
19 percent correct, sir, in that sort of hypothetical
20 example. I would say Millstone is slightly
21 different in that it is a bigger facility. So one
22 of the biggest things that affects nuclear plant
23 economics is effectively the fixed-cost burden.
24 And just sort of playing the hypothetical on that,
25 I know for one particular nuclear plant in PJM

1 they have 150 security guards or something like
2 that at any given time. So there's tremendous
3 fixed-cost burdens on that which decrease as the
4 size of the plant increases obviously.

5 So would Killingly, all else equal,
6 decrease the economics of a plant like Millstone?
7 I don't think anybody here would disagree that it
8 won't, because we're saying Killingly is going to
9 put downward pressure on energy and capacity
10 prices. However, would it cause Millstone to
11 retire? No, I do not think so.

12 MR. HANNON: I'm not just saying this
13 one plant.

14 THE WITNESS (Paterno): No, of course.

15 MR. HANNON: But if the focus of
16 Connecticut is to continue to bring on gas-fired
17 power plants, don't you reach a tipping point at
18 some point in time? I mean, if you have other
19 plants that are saying that the economics to
20 compete with natural gas just don't work anymore,
21 so other sources other than coal or oil are also
22 closing down, isn't there a potential risk of that
23 there also?

24 THE WITNESS (Paterno): I think you
25 could see that, certainly. In sort of modeling

1 parlance, what we're talking about is an overbuilt
2 scenario, which we saw in a lot of the U.S. kind
3 of in the mid 2000s. I think a lot of developers
4 have learned from that because, to be honest, they
5 lost a lot of money doing it, not NTE here, but
6 there's other sort of developers that have been
7 doing this 15, 20 years.

8 So my opinion on that would be that the
9 market would stop the combined cycle entry before
10 you got into a situation where electricity prices
11 and energy and capacity prices got so low that
12 you'd see a nuclear plant such as Millstone
13 retire.

14 MR. HANNON: Thank you.

15 THE CHAIRMAN: Senator Murphy.

16 SENATOR MURPHY: Mr. Bradley, we
17 understand that it's a very efficient proposal
18 that you have before us. We went through the
19 Towantic thing, which had gotten their permit 16,
20 17 years ago, and we recently had the hearings on
21 changed conditions. And, of course, what they're
22 building is a lot different than what was before
23 us. So we kind of understand, in our limited way,
24 some of the technologies and what you have.

25 You've given us a great summary of how

1 things work, but really the bottom line is I
2 really haven't heard anything that tells me that,
3 from what I know about the present system and
4 Towantic coming on and Bridgeport coming on, that
5 if Killingly doesn't happen, the ISO and the
6 Connecticut grid for the next ten years will need
7 you. That's my problem. I don't know where you
8 fit in.

9 I mean, you gave us a very apt and
10 wonderful lecture of the system and how it works
11 and how you would fit in, if you're approved. But
12 do we really need to add Killingly to the mix we
13 already have approved? And that's really the
14 question that I have before me, and I don't know
15 that it's been answered.

16 THE WITNESS (Bradley): I think you do.
17 And I think to answer that question very --

18 SENATOR MURPHY: Well, that's what I'm
19 looking for.

20 THE WITNESS (Bradley): Right, I think
21 that's -- yes, Killingly is needed. Killingly is
22 absolutely needed for all of the reasons that we
23 have discussed, the potential retirements at risk,
24 2,000 megawatts potentially retiring in
25 Connecticut on top of what's retired. Yes,

1 Towantic and Bridgeport are coming in, certainly,
2 but demand response, the need to provide resources
3 that are flexible for demand response, for
4 renewables, the need to provide a resource to
5 Connecticut that's reliable in the wintertime --

6 SENATOR MURPHY: Tell me, if Towantic
7 and Bridgeport were online, would we be in that
8 situation right now?

9 THE WITNESS (Bradley): You would still
10 be in that situation, yes. Those resources will
11 help, but as ISO New England has said, those
12 resources are already contemplated by ISO New
13 England. So President van Welie at ISO New
14 England knows that those resources are in their
15 resource mix, and just a month or so ago still
16 promotes, still put up that same sheet showing the
17 expected 2,000 megawatts of retirements in
18 Connecticut, the at-risk retirements for another
19 6,000, discussed the wintertime reliability
20 issues, discussed the need for fast-start
21 generation for renewables. So yes, those are the
22 reasons that you need Killingly. There could be a
23 very definite reliability problem on the system in
24 the 2020, 2021, '22 time frame if facilities such
25 as Killingly do not come online due to the

1 increase in demand response, the increase in
2 renewables, the further reduction in generation
3 from the older oil-fired facilities. The fact
4 that many of the very efficient combined-cycle
5 facilities that are in Connecticut now don't have
6 ULSD back-up. Many of the facilities in ISO New
7 England don't.

8 SENATOR MURPHY: That's back-up.
9 Mr. Silvestri went through that. It's really
10 short-lived. I'm surprised that ISO New England
11 puts that in a different category. I mean, it's
12 basically two days and then you start really
13 trucking the stuff in, you know.

14 But anyway, go ahead. I'm sorry.

15 THE WITNESS (Bradley): So to answer
16 your question, yes, those are the reasons that
17 Killingly is needed. If you look at just pure
18 megawatts on the system, the at-risk retirements
19 occur in Connecticut specifically. Connecticut
20 and the ISO as a whole are very close in the ratio
21 of at-risk generation with both having in the 25
22 to 30 percent range of generation at risk. And
23 especially if you look outside of Connecticut
24 even, the Burrillville units that have cleared the
25 last auction, the next Burrillville unit may very

1 well clear the next auction. That's going to
2 continue to put downward pressure on the older
3 generation whether Killingly is in the market or
4 not. So you're going to have those same factors.

5 SENATOR MURPHY: Doesn't Burrillville
6 have a boiler problem?

7 THE WITNESS (Bradley): Yes, sir, it
8 does. It absolutely does. So the reasons that
9 we've outlined are the reasons that Killingly is
10 needed.

11 And then the final reason goes back to,
12 I think, if I've kept track, your first question
13 that we are coming to here last, and that is
14 related to need as far as the forward capacity
15 auction goes and how the forward capacity auction
16 defines need. The ISO clearly states that
17 clearing the forward capacity auction is an
18 indication of need for the region.

19 SENATOR MURPHY: I'm glad you said it
20 was an indication. I was pleased with one of your
21 earlier answers to staff about it was just one of
22 the ingredients.

23 THE WITNESS (Bradley): It is one of
24 the ingredients, absolutely.

25 SENATOR MURPHY: As I read your

1 application, it appeared to be the only
2 ingredient.

3 THE WITNESS (Bradley): No, it is one
4 of the ingredients.

5 SENATOR MURPHY: That did not get lost
6 on me.

7 THE WITNESS (Bradley): Yes, exactly.
8 And then in response to your question
9 about the determination of need through the
10 function of the forward capacity auction and the
11 sloped demand curve that we discussed, I want
12 Mr. Paterno to kind of talk through that, if
13 that's okay?

14 THE WITNESS (Paterno): Yes. And I
15 would just sort of echo my earlier comment that
16 the sloped demand curve is ISO New England's way
17 of recognizing that capacity, new power plants in
18 excess of the minimum amount that they require for
19 system reliability, does have a value. And the
20 way they structure that demand curve is as you add
21 more of those power plants in excess of the
22 target, capacity prices go down, and those savings
23 accrue to Connecticut ratepayers at the end of the
24 day.

25 And keeping within the capacity auction

1 framework just for a second, when I think about
2 the need of the facility, I think it also serves a
3 need in protecting Connecticut ratepayers perhaps
4 from higher electricity prices. So one of the big
5 things and the interesting thing that happened --

6 SENATOR MURPHY: The consumers will
7 love that.

8 THE WITNESS (Paterno): If you go back
9 a couple of capacity auctions ago, and I'm going
10 to throw out some numbers, and please stop me if I
11 get too technical. So we just had FCA#10, right?
12 So let's go back to I believe it's FCA#8. FCA#8
13 actually saw quite a bit of retirements at the end
14 of the day. And what actually happened was
15 capacity prices spiked. They went to an all-time
16 high of, give or take, \$15 a kW month. And that
17 was a function of a whole bunch of capacity
18 retired, and the market couldn't necessarily catch
19 up to that in time, the market being power plant
20 developers such as NTE. Those \$15 capacity prices
21 are going to be felt by Connecticut ratepayers at
22 the end of the day.

23 So that's a long-winded way of saying I
24 think there's a merit to having a cushion
25 basically of excess capacity above the minimum

1 amount that you otherwise might require to run the
2 system.

3 SENATOR MURPHY: Thank you.

4 MR. SILVESTRI: I appreciate the
5 comments up to this point. I've heard generation,
6 you know, varying things, old, new and in the
7 middle, demand side management, conservation types
8 of things. What I haven't heard yet concerns any
9 new or upgraded transmission line, anything coming
10 in from Hydro-Quebec or the other line from Lake
11 Champlain going down to New York. And right now
12 Connecticut is a net exporter of power. And if
13 you start bringing in transmission into different
14 areas that we export to, what does that do with
15 the whole power mix that we've been talking about?

16 THE WITNESS (Paterno): Great question,
17 and one that I get asked often in my line of
18 business, which is what's going to happen -- let's
19 use Northern Pass as a good example, if that's
20 okay. Northern Pass, if it comes in, it puts
21 downward pressure on energy. I'm sorry. Northern
22 Pass would be about 1,000 megawatt HVDC
23 transmission line originating on the Hydro-Quebec
24 border of Canada terminating in New Hampshire.
25 It's being put forth by Eversource, and it's

1 contemplated they'll have a long-term contract
2 with Hydro-Quebec, which is the electric utility
3 of Quebec.

4 Certainly if you think about those type
5 of projects, they'll put downward pressure on
6 energy and capacity prices. But I think in the
7 environment that we see right now, which is low
8 natural gas prices, as well as lower capacity
9 prices, and maybe what we saw a couple years ago,
10 I think the economics of those projects are
11 challenged. And I think there's some support in
12 the market on that as well.

13 And I know it's not entered into the
14 record, but there was recently an RFP held by the
15 Connecticut State Electric Utilities. And in the
16 press release that I read on that, they made a big
17 thing talking about how the large-scale hydro
18 projects, the Canadian transmission lines, hadn't
19 been accepted in that RFP. So I think the
20 economics of those projects are still challenged
21 in the environment.

22 DR. KLEMENS: Mr. Chairman, I have a
23 question.

24 THE CHAIRMAN: Okay.

25 DR. KLEMENS: There's one thing in all

1 of this that we've been talking about or haven't
2 talked about, and that is predicated on what you
3 just said, cheap or low-cost natural gas.
4 Low-cost natural gas is largely, I think you would
5 agree, the result of shale gas fracking. And I'm
6 seeing increasingly states that are cutting down
7 on fracking, banning fracking.

8 What is your sense that we're all
9 chasing this low natural gas and this is just a
10 bubble, and that in ten years or so when there's
11 increased awareness of some of the impacts of
12 fracking, fracking becomes more complex and more
13 difficult, that all this cheaper gas is going to
14 disappear and we may have driven out, as
15 Mr. Hannon said, nuclear in the interim? Is it
16 the best long-term energy strategy for the state
17 to depend so heavily on gas when there's so much
18 controversy about how gas is being obtained from
19 the ground?

20 I think this is troubling. And I
21 certainly don't believe -- you say this is a
22 dual-fuel generation, but I think earlier
23 Mr. Silvestri sort of had you sit there and lay
24 out how many tank loads you'd have to do to keep
25 this thing going. I mean, this dual-fuel is

1 really crisis back-up; it's not really a dual-fuel
2 in that sense where you would have the ability to
3 switch between the two fuels. It's one type of
4 fuel with an emergency back-up, much as we have
5 back-ups on cell towers that last a few days. So
6 I don't really think this is a dual-fuel in what I
7 would call where you'd be able to switch
8 seamlessly back and forth for extended periods of
9 time between one or another fuel source.

10 And please do answer the question about
11 the fracking because that concerns me that we're
12 depending on building so much of this on the
13 concept of cheap abundant natural gas.

14 THE WITNESS (Bradley): I'll address
15 the issue on fracking relative to the generation
16 mix, and then I think I'd like to have Ethan, Mr.
17 Paterno, step in on that. And then maybe on the
18 air permit for the dual-fuel maybe, Lynn, you want
19 to talk about how we can use fuel when gas is
20 curtailed?

21 But on the big picture generation, if
22 you look at information provided by any utility
23 like ISO New England, really any type of
24 reliability entity, no entity is going to promote
25 extreme reliance on one fuel. And so that's why

1 things like, as we discussed, demand response,
2 solar, wind, natural gas, all have their place.
3 ULSD as an emergency fuel has its place. Nuclear
4 energy certainly has its place. In the Northeast
5 coal doesn't have nearly as large of a place as it
6 does where I come from where there's a tremendous
7 amount of coal-fired generation. You're very
8 fortunate in that area.

9 But looking at the reliance on natural
10 gas, it is a price signal. And if you look at now
11 burning -- what are the options other than natural
12 gas for developing additional generation
13 resources? Certainly nuclear is a current option.
14 There are some nuclear plants being built. Is
15 that the most cost-effective option right now for
16 New England? Most likely not. Look at coal and
17 oil as a new generating source? Definitely not
18 the preferred option.

19 So when you look at where natural gas
20 is in the resource mix as the best available new
21 technology for electric generation and the best
22 available fuel source from the perspective of
23 price, availability, emissions, it's the fuel of
24 choice. I think if you take that a step
25 further -- and this will segue into, I think,

1 Mr. Paterno's addition on this -- if you look at
2 various entities such as the Energy Information
3 Administration and various experts in this area,
4 they see a significant supply of gas within the
5 U.S. for the very very long future providing
6 energy independence for the U.S. for something
7 that's much cleaner than coal.

8 So I don't think any of the information
9 that we have seen has indicated that gas is going
10 to not be available in the future. Certainly as
11 demand increases for natural gas, as demand
12 increases for any commodity, the price will go up.
13 That price will go up, that price will come down,
14 there will be equilibrium points in supply and
15 demand, but natural gas is the desired fuel of the
16 future from an availability perspective and a cost
17 perspective.

18 Ethan, do you want to add to that?

19 THE WITNESS (Paterno): Yes. I'm
20 certainly not going to say whether fracking is
21 good or bad. That's a land mine that I'm not
22 going to touch. I'm not an environmentalist. But
23 I will say I think Mr. Bradley made a great point
24 that if not natural gas then what else. Nuclear,
25 I think to a large degree, is off the table. The

1 one active nuclear plant under construction,
2 Vogtle, which is down in your neck of the woods,
3 is five times overbudget and looking at some costs
4 of about \$10,000 a kW, which will be ten times the
5 cost approximately of what we're talking about in
6 this particular project. And at the same time
7 there's a lot of clean energy initiatives being
8 put forward, as we discussed, which I think are
9 great and they're helping make a better
10 environment. That's energy efficiency, demand
11 response and renewables.

12 But my own personal view, which Mr.
13 Bradley would echo, that I think is supported by
14 ISO New England, is that you get problems at the
15 end of the day in managing the reliability of the
16 system as you add that stuff. And if you have
17 problems, I don't know if there's a better
18 solution to solve those problems than projects
19 like Killingly.

20 THE WITNESS (Bradley): And to make one
21 addition to that, just by way of example before
22 passing this on to Lynn, Mr. Paterno mentioned
23 Vogtle and the fact that it is significantly
24 overbudget. That's a very different power market
25 design than in New England. In New England with

1 Killingly, as we mentioned, the ratepayers are not
2 at risk for the development of Killingly. I can
3 tell you in Georgia, as a ratepayer of Georgia
4 Power in a non -- in a regulated bilateral market
5 with a monopoly utility, I am very much at risk
6 for that overrun at Vogtle, and the state
7 Commission has already passed that overrun through
8 to our bills. So that's why that in a market like
9 that nuclear can work right now because the state
10 regulators are willing to flow those costs through
11 to the ratepayers. You don't have that situation
12 here.

13 And now I wanted to pass it on to Lynn
14 on the air permit question of oil versus gas.

15 THE WITNESS (Gresock): Dr. Klemens
16 correctly characterizes the facility as
17 predominantly a natural gas fired facility.
18 Allowing the use of ULSD for up to 720 hours on a
19 rolling calendar basis is a bit of an insurance
20 policy to help safeguard reliability. And so
21 you're correct that it's not what one would
22 consider to be the kind of facility that operates
23 equally often on natural gas and fuel oil. And as
24 a matter of fact, we're expecting that in the air
25 permit that would be issued for the project, we'll

1 include a fairly lengthy list of requirements to
2 make sure that the reason ULSD is being fired is
3 either for appropriate testing or to meet some
4 need due to gas curtailment in other ways.

5 THE CHAIRMAN: I want to get back to
6 the way we try to usually do things just to make
7 sure everybody gets a chance. We are going to
8 break at 4. We are coming back. So don't take
9 this -- this, depending on your viewpoint, either
10 fortunately or unfortunately, will not be the last
11 meeting on this.

12 But I want to go to Mr. Ashton.

13 MR. ASHTON: Very quickly. We've had a
14 lot of discussion about the U.S. gas resource
15 base. You said nothing about the Canadian base,
16 which is equally large and equally domestic in
17 that it's not like oil coming from Nigeria or
18 Indonesia or God knows where, which is subject to
19 interruption. I have to smile, having a long
20 history in the energy business, that we're worried
21 about a preponderance of generation using natural
22 gas. We used oil almost exclusively, and oil is
23 the only energy source that has been interrupted.
24 So I take the worry of natural gas with a huge
25 grain of salt. I think it's the answer for the

1 future, and frankly the only answer here in New
2 England.

3 Thank you, Mr. Chairman.

4 THE CHAIRMAN: Mr. Harder.

5 MR. HARDER: Thank you, Mr. Chairman.

6 I guess most of the concern I had,
7 which is on the issue of need, has been discussed
8 adequately. But I guess one of the points that I
9 wanted to make was how you're presenting the issue
10 of what capacity is available, what's not
11 available, what might be available, which makes it
12 kind of confusing.

13 I'm referring to this map. And some of
14 the terminology here talks about 4,200 megawatts
15 has retired or plans to retire soon. And then you
16 talk about at risk for closing the other
17 additional 6,000 megawatts, in total about 30
18 percent, could be gone by 2020. And I thought I
19 heard you say -- and I think it was
20 Mr. Bradley that made the comment about the
21 at-risk facilities being those that are planned
22 where there's some definitive knowledge that those
23 facilities are going to be retired. So it seems
24 like there's some mixing up of the terminology of
25 at-risk and might be retired or possibly being

1 retired.

2 THE WITNESS (Bradley): Certainly.

3 MR. HARDER: And I guess the thought I
4 had in mind is if some of the capacity that could
5 be retired or is at risk is in that category
6 because it's old, because it's inefficient, more
7 expensive, and as new facilities come online those
8 older, less efficient facilities drop out. And in
9 light of some of the points that have been made
10 about renewable energy, energy efficiency, energy
11 conservation, batteries, I guess one of the
12 questions we have to answer for ourselves -- and
13 it's not necessarily a question that I'm posing to
14 you that you could answer today -- but if there
15 are facilities that might be a little less
16 efficient for some period of time, why isn't it
17 better to use them for a shorter period of time in
18 anticipation of continuing improvements in
19 efficiency and conservation and battery storage
20 and perhaps other alternative means of generating
21 energy rather than spending a lot of money and
22 undergoing a lot of expenditures, not just
23 financial, but environmental and whatever, to put
24 in a new facility?

25 I'm thinking of it in simplistic terms

1 and thinking about it, you know, about buying a
2 car. I have a ten-year-old car. Maybe I'll keep
3 it for a couple of years instead of buying what
4 would be a nice new efficient car by today's
5 standards if I knew there's going to be something
6 a lot better, a lot more efficient, maybe zero
7 emissions and whatever just a few years down road.
8 Even though it's going to cost me a little more to
9 use that car for a few years, why should I buy a
10 new one now and put myself in that position of
11 being even less likely to be able to afford or
12 less reason to buy that really efficient vehicle a
13 couple years down the road?

14 THE WITNESS (Bradley): Sure. And I
15 can respond to both of those things. I think
16 first there's some confusion regarding the
17 retirements versus the at-risk retirements. I
18 wanted to address that first, and then we'll go to
19 the other question.

20 I'm actually looking at Item 1 in the
21 NTE administrative items, which is the 2016
22 Regional Electricity Outlook from ISO New England.
23 That map that you provided is in this document.
24 It's provided by ISO New England. It's in
25 slightly different format in a number of

1 documents, but it's the same map with the same
2 text.

3 So what you see -- let's look at
4 Connecticut, for example. There's an X on
5 Norwalk, which means that it is closed or is in
6 the process of being closed. Bridgeport Unit
7 Number 2 is listed as closed. So those two units
8 that ISO New England shows as closed have
9 announced in the process of retiring and have
10 either retired or will retire very soon. And so
11 those are units that are actually in the
12 retirement process. The at-risk units, which will
13 be Middletown, Montville, New Haven and Bridgeport
14 3 in that same map provided by ISO New England are
15 included in that 6,000 megawatts that they label
16 at risk by 2020.

17 And what that means is that from a
18 reliability evaluation perspective ISO New England
19 has looked at their existing resource fleet, and
20 they look at the forward energy price projections,
21 the forward capacity price projections, the
22 operating and maintenance costs associated with
23 those facilities, the emissions of those
24 facilities, and have determined that these
25 facilities that they label as at-risk, although

1 they're not in the process of retiring at this
2 moment, are at a very high probability that they
3 will be retiring or forced to retire by 2020. So
4 that's the differential there.

5 So the two in Connecticut, Norwalk and
6 Bridgeport 2, have retired or are in the process
7 of retiring. The others that are labeled at risk
8 are still generating but looking at their
9 long-term viability. For a number of reasons they
10 are not expected to be a long-term viable resource
11 for the region.

12 So that comes to the question on
13 technology and why not wait a little while for
14 technology to advance. And that's a very good
15 question. And if you look at a number of
16 different forms of technology out there, electric
17 generating technology continues to improve.
18 Battery technology continues to improve. Wind
19 turbine, solar technology, all continues to
20 improve. But what you look at in terms of need
21 that goes back to Senator Murphy's line of
22 questions and statements as well is ISO New
23 England in Connecticut looks at a near-term need,
24 medium-term need and a longer-term need. So the
25 near-term need is I would personally call the

1 near-term need now through, say, 2020 when the
2 next forward capacity auction would occur. So
3 that need has been taken care of through FCA#10
4 back. So starting with FCA#11 for 2021 for that
5 foreseeable future, which is three years out,
6 you're looking at serving that years capacity
7 needs.

8 So even though you're looking at that
9 now for three years out, the technology has to be
10 available today to be installed, commercialized,
11 approved by ISO New England, validated as a
12 qualified resource by the Independent Market
13 Monitor, IMM. So you're really looking at today's
14 technology being applied three years out. Given
15 that battery technology is advancing, all these
16 other technologies are advancing, you're still
17 looking at a fairly long-term window of, you know,
18 8, 10, 12 years, most likely, to get battery
19 technology to the point that it's reliable for
20 more than just a very short-term spike in energy
21 usage or to get solar panels where they'll have
22 more than a 20 percent operating, you know, load
23 factor or capacity factor, as we discussed before.

24 So Killingly serves a medium to
25 long-term need. As time progresses those other

1 technologies will continue to phase in. The
2 process in New England is there, but those
3 technologies are not available today in a quantity
4 that's really reliably economically achievable to
5 meet the medium-term capacity and energy
6 requirements here in New England.

7 Do you want to add anything?

8 THE WITNESS (Paterno): The only thing
9 I would add to that is the comment on if you knew,
10 which I think is a good one. For example, if I'm
11 going to buy a car, Elon Musk tells me he's going
12 to have the latest and greatest thing out in 2018.
13 So I kind of know that, to the extent you can
14 believe Elon. When it comes to some of these
15 other technologies, I think battery storage is a
16 great example, there's a lot of uncertainty there.
17 And by no means am I battery storage expert.
18 There's other colleagues of mine that are, but
19 I've sort of gleaned enough around the water
20 cooler to get the general gist of the situation.
21 Current battery storage technology is primarily
22 lithium ion based. Lithium ions, everybody's
23 heard of the Samsung Notes that keep exploding or
24 the Samsung 7s or whatever. That's the sort of
25 concept there. From what I understand of the

1 future of batteries, it's really flow batteries
2 which, from what I understand, is 10-plus years
3 out, and nobody is exactly sure. That's a
4 prognostication.

5 So to the point of using the most
6 economically efficient and known technology, I
7 think as it comes here today, the turbines that
8 Killingly uses fit those needs.

9 THE WITNESS (Eves): But on the whole
10 issue of technology, I mean, if you look back in
11 the '30s and '40s when we were burning two and a
12 half pounds of coal to generate a kilowatt hour,
13 we had small facilities located within towns,
14 within the load centers. As we moved out in time,
15 we advanced the transmission system. In the mid
16 '60s, mid '70s we started building much larger
17 facilities out in remote areas and transmitting
18 the power into town. However, we couldn't replace
19 all the units that were inside cities generating
20 as we came up with this new technology. So those
21 facilities within the city continued to operate.

22 The first combined-cycle unit went into
23 service in the mid '70s, which is a fantastic
24 reuse of waste heat. We still, those old units
25 that were local inside the cities, some of them

1 remained operational, some of them were replaced.
2 The first advanced combustion turbine went into
3 service in the late '80s. So as the technology
4 advances, you can't replace all of yesterday's
5 technology with today's. It's kind of a
6 phase-out.

7 So as we advance in time, the units
8 that are falling off are not the units that were
9 built ten years ago; they were the units that were
10 built 50 years ago. I mean, we still have some of
11 those units operating, those small city units that
12 have, you know, efficiencies in the 10 to 15
13 percent range even though these combined-cycle
14 units are now operating in the 60 percent range.
15 So as technology advances, what we're replacing is
16 the very oldest technology that's operational.

17 So in your example about buying a car,
18 I would think maybe a different analogy would be
19 if you had a business and you had a fleet of
20 trucks, and it was time for you to buy a new
21 truck. The truck that you would probably replace
22 is the oldest truck on your fleet that has lower
23 MPG, has a lot of, you know, maintenance
24 associated with it and things like that.

25 So, you know, as battery technology

1 comes on, it's definitely going to have its place.
2 And as that works, the units that are going to
3 fall off the generation are the older, more
4 inefficient units that are, you know, expensive to
5 maintain and inefficient to operate.

6 MR. HARDER: That's it.

7 THE CHAIRMAN: Mr. Levesque, do you
8 have any questions?

9 MR. LEVESQUE: Sure. Probably for
10 Tetra Tech. The visibility analysis, is it true
11 that you only used five viewpoints? That's what
12 it shows on your map.

13 THE WITNESS (Gresock): We evaluated a
14 number of locations, took photographs, and did
15 line of sight drawings in a number of locations,
16 but did a limited number of visual simulations at
17 locations where we thought the opportunity to be
18 able to understand what the visual impact could
19 be --

20 MR. LEVESQUE: I saw that. But, I
21 mean, for such a large project we're used to
22 seeing a lot more.

23 THE WITNESS (Gresock): It's always a
24 balance. We could have produced more, but showing
25 a lot more visual -- a lot more views that still

1 don't show anything other than trees blocking the
2 view, on balance we decided that providing the
3 terrain and the tree buffer information, providing
4 some of the lines of sight information for some of
5 the places where we didn't do visualizations, and
6 then providing the visualizations would be most
7 meaningful.

8 MR. LEVESQUE: As far as like the
9 drawings and the graphs, it seems like the actual
10 photographs with the stack and maybe the
11 simulation of the plume might seem more convincing
12 and accurate like to the members of the public.

13 THE WITNESS (Gresock): One of the
14 challenges that you also face with an assessment
15 like this is that the vantage points that we need
16 to use for photographs need to be from public ways
17 that are not on people's property. And I think
18 one of the reasons we're careful to conclude in
19 the analysis that even though the stack didn't
20 demonstrate a lot of visibility with the
21 particular vantage points we showed, we do think
22 that there probably are some places from which the
23 stack top may be visible. And so we want to be
24 very careful to indicate that what we are able to
25 evaluate isn't necessarily every view that

1 everyone would potentially see.

2 MR. LEVESQUE: Okay. Thank you.

3 My next set of questions has to do with
4 the traffic and the roads probably, so I'm sure
5 Mr. Hesketh and maybe Mr. Thibeault, because he's
6 the local engineer, has good experience there.

7 Mr. Hesketh, there's no page numbers on
8 your report. That would have been helpful for
9 everybody to follow.

10 THE WITNESS (Hesketh): Sorry about
11 that.

12 MR. LEVESQUE: So you said the roadway
13 to the site has a speed limit of 25 miles an hour.
14 Is that correct? It's on the second page of your
15 report.

16 Mr. Bradley, the 50 or so trucks,
17 tractor-trailers a day for oil delivery, in this
18 region of Northeastern Connecticut near Rhode
19 Island, Mass., Boston, wouldn't those mostly be on
20 the coldest winter days?

21 THE WITNESS (Bradley): Yes, they
22 should.

23 MR. LEVESQUE: When there's gas
24 constraints?

25 THE WITNESS (Bradley): Yes. That's

1 correct.

2 MR. LEVESQUE: I want to remind
3 everybody why you can't purchase enough gas on
4 those days.

5 THE WITNESS (Bradley): Sure. I'll be
6 glad to. The ability to burn ULSD as a back-up
7 would occur whenever there was a curtailment of
8 firm natural gas on the pipeline, in our case on
9 the Algonquin pipeline. We know from speaking
10 with Algonquin, our fuel supplier Emera, other
11 entities that take firm natural gas from the pipe,
12 that over the past three to four years there's not
13 been a situation on the pipe where there's been a
14 curtailment due to lack of gas.

15 Now, there have been situations where
16 there were curtailments or reduction in flow in
17 the wintertime during high demand because of what
18 they would refer to as a force majeure on the
19 pipe, which would means a problem with the
20 compressor, some type of mechanical problem on the
21 pipe that might limit flow. But those situations
22 are very very few and far between, which is very
23 important to understand when we're talking about
24 the requirement to bring the trucks for the ULSD.

25 This is an emergency situation. It's

1 not expected to be any type of prolonged
2 situation, and purely dependent on the pipeline
3 physically not being able to deliver firm gas,
4 which is very very rare.

5 MR. LEVESQUE: How about the
6 competition from residential heating and
7 commercial when it's the coldest days?

8 THE WITNESS (Bradley): Right. And as
9 we had discussed earlier, residential heating,
10 some forms of residential heating, hospitals,
11 temperature critical firm loads that are behind
12 LDCs, certainly have priority. But even in that
13 case many times they're still sufficient to
14 provide gas for power generation and other large
15 needs such as that. Power generation is a very
16 high priority need. Even looking at the various
17 curtailments of firm, power generation is very
18 high for no reason other than the exact same folks
19 who need that gas. A gas-fired furnace really
20 isn't any good if the electric fan on that
21 gas-fired furnace won't operate. So it's all very
22 high reliability.

23 MR. LEVESQUE: Would you ever produce
24 because of the peaking price, those higher spikes
25 we've been seeing?

1 THE WITNESS (Bradley): No. Our air
2 permit does not allow us to burn ULSD for economic
3 purposes.

4 Is that correct?

5 THE WITNESS (Eves): That's correct.

6 MR. LEVESQUE: Mr. Hesketh, did you
7 find out?

8 THE WITNESS (Hesketh): Yes. We've
9 indicated in the report that there are portions of
10 Lake Road which are posted at 25 miles per hour,
11 and there are portions of Lake Road posted at 35
12 miles per hour.

13 MR. LEVESQUE: And how about are there
14 any "no trucks allowed" limitations or signs?

15 THE WITNESS (Hesketh): Yes. The
16 section of Lake Road between Route 101 and Forbes
17 Road is posted for no trucks, that's correct.

18 MR. LEVESQUE: And then you said that
19 there was one other -- there's another possible
20 development that would add traffic to the area.
21 Is it Questar Fueling Company?

22 THE WITNESS (Hesketh): Yes. As part
23 of our preparation of the report, we included the
24 other potential approved but not yet constructed
25 developments which may add traffic to the area,

1 and Questar is the one development which we
2 identified through town records and the Office of
3 the State Traffic Administration which might add
4 traffic to the vicinity.

5 MR. LEVESQUE: Is that a fuel
6 wholesaler or --

7 THE WITNESS (Hesketh): I'm not exactly
8 sure what kind of development it is. We obtained
9 the size of the facility, and assuming it was an
10 industrial-type facility, generated traffic for
11 that, and then added it to the roadway network.

12 THE WITNESS (Mirabito): I'm not quite
13 sure what type of facility it is, but we do
14 understand from that town that that project is not
15 proceeding.

16 MR. LEVESQUE: Okay. And also you had
17 comments in your report -- and I'm sorry I don't
18 have the page -- about the curve in the road being
19 26 feet instead of 40 feet wide and probably
20 inadequate for all these construction vehicles and
21 tankers if it was to be built?

22 THE WITNESS (Hesketh): There is a
23 section of Lake Road which -- well, Lake Road west
24 of Forbes runs about 22 to 24 feet in pavement
25 width. Sections of Lake Road east of that are 30

1 to 40 feet in pavement width. So we have proposed
2 to provide some improvements to upgrade that
3 roadway to a 30-foot minimum width to soften the
4 curvature of the roadway just west of Forbes Road
5 to better allow truck traffic to access the
6 facility. And in conjunction with that, we would
7 propose to relocate the truck restriction to a
8 point immediately west of our site driveway to
9 allow vehicles accessing our site to do so.

10 MR. LEVESQUE: So you entered
11 discussions with the town to pay for those and
12 design?

13 THE WITNESS (Hesketh): Well, the
14 design of the improvements of the roadway would be
15 the responsibility of the applicant, the developer
16 here. We will work with the town to provide the
17 appropriate geometries, roadway widths, pavement
18 subsections and the like. So we're in the process
19 now of conducting field surveys in that section so
20 we can identify the appropriate improvements.

21 THE WITNESS (Eves): I'm not sure I
22 heard your question, but NTE will be paying for
23 those improvements.

24 MR. LEVESQUE: That's what I was
25 inquiring about. Thank you.

1 THE WITNESS (Eves): Yes, sir.

2 MR. LEVESQUE: Is there any bridges
3 that would be inadequate all the way to the
4 highway?

5 THE WITNESS (Hesketh): Bridges --

6 MR. LEVESQUE: Like for your cranes.

7 THE WITNESS (Hesketh): Well, there's
8 an existing industrial park located on Lake Road
9 between I-395 and the proposed site which has a
10 significant volume of tractor-trailer truck
11 activity. So we believe that the roadways will be
12 sufficient to accommodate the traffic loads that
13 we are proposing.

14 MR. LEVESQUE: How about your boilers
15 and those things, it might be the biggest thing
16 they've seen.

17 THE WITNESS (Hesketh): Well, those are
18 generally delivered -- large-scale items like that
19 have to be delivered on trucks which are permitted
20 by the state. So the loads will be distributed
21 over a certain number of axles. When those types
22 of vehicles are delivered, we'll coordinate that
23 with state police to make sure that they're done
24 safely.

25 MR. LEVESQUE: You have to do a

1 detailed study on safety for the bridges?

2 THE WITNESS (Rega): Yes, that's right.
3 We'll certainly do that detailed logistic study
4 when the time comes. We have to identify exactly
5 the paths that they will be coming down.
6 Obviously, the proximity to 395, we expect that
7 that will be used, but then of course, yeah, there
8 will be a detailed logistic study completed at
9 that time.

10 MR. LEVESQUE: And the trailers for
11 fuel, where would they come from, Providence
12 Harbor? They may not come on 345. The fuel oil,
13 which port would they come from?

14 THE WITNESS (Rega): I don't know
15 exactly where the trucks would come from. I was
16 anticipating they would come down 395, but we
17 haven't identified a specific port yet.

18 MR. LEVESQUE: Does anybody know?

19 THE WITNESS (Bradley): No. There are
20 a number of different suppliers for ULSD in the
21 area. I would agree with Chris. Everything that
22 we've looked at, they'll come 395. We may very
23 well have supply agreements with multiple
24 suppliers. Some could come from the north, some
25 could come from the south, depending on where

1 their terminal is, either at a port or a pipeline
2 gathering station or something like that. They
3 could come from a variety of sources.

4 THE WITNESS (Hesketh): And due to the
5 restriction of truck traffic on Lake Road west of
6 the site, contracts with those suppliers would
7 include the fact that they would have to approach
8 the site from 395 and east of the site staying off
9 that section of Lake Road.

10 MR. LEVESQUE: Well, for a matter of
11 safety, they'd want that too, right?

12 THE WITNESS (Hesketh): It would be the
13 appropriate thing to do, yes.

14 MR. LEVESQUE: Okay. Thank you very
15 much.

16 THE CHAIRMAN: Mr. Hannon.

17 MR. HANNON: Thank you. Mr. Chairman.

18 I do have a number of questions, but
19 some of the questions I had originally worked out
20 were changed, I guess, about a week or a week and
21 a half ago when the revised maps were submitted.
22 So I'm probably going to have to have a little bit
23 of time at the next meeting to go through some of
24 those issues.

25 I guess probably the easiest way do it

1 is in Volume I on page 41 you state you've got a
2 million-gallon oil tank on site. NTE expects with
3 proper maintenance the ULSD can be stored for two
4 or three years. What do you mean by "proper
5 maintenance"?

6 THE WITNESS (Rega): So for the most
7 part that will be recirculation of the fuel, it
8 will be keeping it at the proper temperature, and
9 also the addition of certain additives to keep any
10 sort of biological growth from happening in that
11 tank.

12 MR. HANNON: So during the winter
13 months when it's colder, I'm assuming there's heat
14 involved in it to try to maintain the oil so that
15 it actually flows?

16 THE WITNESS (Rega): That's correct.

17 MR. HANNON: And then what I was kind
18 of surprised at is, based on NTE's responses on
19 Question Number 31 on page 13, I was surprised to
20 see how you would possibly get rid of the oil
21 coming close to the end of its useful life, and
22 that would be by selling it back to suppliers.
23 That's the first time I've really heard that.

24 So I just want to make sure that there
25 would be no reason for burning the oil as a way of

1 getting rid of -- you have other ways of removing
2 that oil so that you can replenish it with
3 something that has a longer shelf life, if you
4 will.

5 THE WITNESS (Rega): That's correct,
6 yes. We would not burn it just to get rid of it.

7 MR. HANNON: Okay. Because if an air
8 permit was ever issued, that would also be one of
9 the requirements, because I think you have certain
10 limitations. So I just want that on the record.

11 THE WITNESS (Rega): Yes.

12 MR. HANNON: On page 45 you talk about
13 NTE will procure emission reduction credits to
14 offset emissions. Can you just explain why you
15 need that? I think it's probably something that's
16 been discussed at a number of the meetings, but
17 just for the record can you please explain why you
18 would need those credits?

19 THE WITNESS (Sellars): Sure. Under
20 the Clean Air Act Nonattainment New Source Review
21 rules, any new major source or major modification
22 above a certain threshold is required by the Clean
23 Air Act to obtain emission offsets for that
24 pollutant in a ratio based on the ozone
25 nonattainment classification. In this case that

1 would be a ratio of 1.2 to 1. So based on our
2 maximum potential to emit the maximum permitted
3 amount, we would have to buy 1.2 times that in
4 emission reduction credits that would be converted
5 into emission offsets by the DEEP.

6 MR. HANNON: Thank you.

7 On page 48, if I'm looking at this
8 diagram correctly, it looks like the HRSG steam
9 cycle blowdown and sampling wastewater, that goes
10 down to the sanitary sewer line, correct?

11 THE WITNESS (Rega): That's correct.

12 MR. HANNON: The reason I'm asking the
13 question on it is because in a recently-approved
14 docket by the Council another company was actually
15 able to go in and recover and reuse all of the
16 HRSG blowdown. So have you looked at that, and is
17 that a way of possibly reducing some of your water
18 needs?

19 THE WITNESS (Rega): It is
20 theoretically possible. But my understanding of
21 that docket, that company decided to do that
22 because of a restriction that they had in the
23 amount of wastewater that they could generate.
24 Not having that restriction here, that type of
25 cycle and technology has certain risks associated

1 with it. And that plant, of course, is not
2 operating yet, but they are recovering that. They
3 are going to attempt to recover that. But there
4 are operational concerns with that type of cycle,
5 but again, they did that because of a restriction
6 that they had on their wastewater discharge.

7 MR. HANNON: Okay.

8 THE WITNESS (Rega): It's an unusual
9 design.

10 MR. HANNON: Okay. Another question I
11 have for you. On page 51 it sort of ties in with
12 the discharge, so maybe it's the same thing in
13 which you were just responding to. You're talking
14 about an average of approximately 30,000 to 45,000
15 gallons per day of wastewater under the natural
16 gas fired operation, and the same project
17 previously in Oxford they were talking about
18 discharging 6,480 gallons per day, which included
19 stormwater. And after the stormwater was removed,
20 they were down to about 4,000 gallons a day, I
21 believe. So I'm just trying to get a better
22 understanding as to the variation in terms of how
23 your volumes are much higher than what they're
24 proposing.

25 THE WITNESS (Rega): Yes, and it really

1 is the same response. It came down to, again, my
2 understanding, a restriction on their wastewater
3 discharge. And I would certainly have concerns
4 about the viability of maintaining that sort of
5 level of wastewater. I've seen their diagram.
6 I've seen their process. But again, we did not
7 have that same restriction here on wastewater.

8 MR. HANNON: Also at page 61 the
9 application talks about the types of solid waste
10 that will be generated at the site. And I believe
11 it was also mentioned earlier today that there is
12 an existing house on the site that would need to
13 be demolished, assuming this project goes forward.
14 Has any thought been given to, instead of just
15 going in there with the bulldozers and taking the
16 house down and leaving no brick standing, about
17 sort of dismantling that unit and trying to
18 recycle as much of the material in that house as
19 possible, seeing as how there is a building
20 material reuse center in Putnam? It's relatively
21 close by.

22 THE WITNESS (Rega): I think it's a
23 good point. I can't say it's something that I've
24 thought about, but certainly something that can be
25 taken into consideration. Thank you.

1 MR. HANNON: I think one of the things
2 that has been mentioned is a little bit of
3 blasting. And if I read correctly, with some of
4 the newer material that came in, there will be
5 some rock crushing on site?

6 THE WITNESS (Rega): There will, yes.

7 MR. HANNON: And is that going to
8 require an air permit, or are you bringing
9 somebody in that already has a license for it?

10 THE WITNESS (Rega): We'll certainly
11 bring somebody in that has a license for that.
12 I'm not too familiar with exactly what their
13 permitting requirements are, but we'll certainly
14 bring a licensed contractor to do that work.

15 MR. HANNON: Okay. Like I said, with
16 some of the erosion sedimentation control, that I
17 want to hold off on because I need to go back and
18 take a look at some of the newer material. But I
19 think people realize we need to look at that
20 rather closely.

21 The pipeline replacement -- this is on
22 page 161 -- I know you're talking about going
23 in -- and I guess this would be Eversource that
24 would be responsible for doing it -- replacing the
25 existing pipe with a larger diameter pipe within

1 the existing right-of-way. One of the areas where
2 I was a little concerned, I guess, is when it
3 comes to the Quinebaug River crossing. Is the old
4 pipe being left in there? Is there enough room
5 then within the existing right-of-way to be able
6 to bore another pipe in there within the same
7 right-of-way? And then what would happen with
8 that pipe that's left under the river?

9 THE WITNESS (Bradley): I know from our
10 conversations with Yankee Gas that they intend to
11 lay the new pipe beside the existing pipe. So
12 they would not have to remove the existing pipe in
13 order to lay the new pipe.

14 I do know also they've discussed that
15 in the vast majority of that right-of-way, their
16 preliminary plan is to remove the existing pipe
17 after the new pipe is complete and in service. As
18 far as the particular portion where it goes under
19 the Quinebaug River, I do not know. They have not
20 discussed that piece specifically.

21 Lynn, you might -- could add something
22 to that.

23 THE WITNESS (Gresock): I think it's
24 our understanding that they're planning to bore it
25 and not remove the existing pipe but to leave it

1 in place, assuming that there's more disruption
2 potentially associated with removing a pipe than
3 would be otherwise the case. But I imagine that
4 as they develop more design details, we'll know a
5 lot more about that.

6 MR. HANNON: Thank you.

7 Switching to Volume 3, Appendix G. In
8 the updates, the memo to Jim Grillo, there's
9 information about an auxiliary boiler. Can you
10 just give me a better understanding as to what the
11 use of that auxiliary boiler is for and when it
12 would be used?

13 THE WITNESS (Rega): So the auxiliary
14 boiler would be used really primarily for
15 start-up. So prior to start-up, there are a
16 number of operations that we would have -- prior
17 to starting the gas turbine unit, I should say --
18 to keep things warm, to keep things cold, steam
19 seals on the steam turbine. And what it really
20 does is facilitate much faster start-ups so that
21 we can get the unit up quicker, we can vent
22 minimally any sort of steam before we sort of get
23 it online, and then get it up to emissions
24 compliance very quickly within about 30 minutes.
25 That's what it facilitates.

1 MR. SILVESTRI: I'm under the
2 impression that the auxiliary boiler will also
3 keep the HRSG warm during periods of turbine
4 shutdown. Is that correct?

5 THE WITNESS (Rega): Correct, yes. So
6 if we're down for a considerable amount of time
7 for turbine maintenance, which has happened
8 occasionally, then it's called a cold start-up.
9 So for that cold start-up, we would then sparge
10 the boiler, it's called, to sort of warm it up,
11 again, to facilitate faster start-ups.

12 MR. SILVESTRI: How long would a
13 shutdown or maintenance be predicted to be, days,
14 weeks?

15 THE WITNESS (Rega): The longest
16 shutdown we would anticipate is probably 30 to 45
17 days.

18 MR. SILVESTRI: At what point would the
19 aux boiler be shut down and the HRSG remain cold?

20 THE WITNESS (Rega): Sorry. I just
21 want to clarify. So when we shut down for an
22 outage, we wouldn't have the aux boiler running
23 then.

24 MR. SILVESTRI: So that would be off?

25 THE WITNESS (Rega): It would be off.

1 We would look to cool down the equipment so we can
2 get in there and maintain it, and then it would be
3 started up just prior to restarting the unit.

4 MR. SILVESTRI: And restart times for
5 cold and hot start-ups would be 35 and 30 minutes?

6 THE WITNESS (Rega): Yes. Correct.

7 MR. SILVESTRI: Thank you.

8 MR. HANNON: Who's placing the 4,600
9 hour limitation on the boiler, is it you, or is it
10 the agency?

11 THE WITNESS (Gresock): We've
12 established that based upon what we believe is a
13 generous reasonable usage, and it's consistent
14 with other permits that have been issued in the
15 state.

16 MR. HANNON: And I haven't heard this
17 discussed. We've talked about one of these air
18 issues earlier. But if you would be so kind as to
19 just explain specifically what it means when
20 you're talking about exceeding significant impact
21 levels of pollutants. Because I think there may
22 be a misconception as to just exactly what that
23 means.

24 THE WITNESS (Sellars): Yes. Thank you
25 for that question. And there's generally a lot of

1 details and confusion about many aspects of the
2 air quality permitting process.

3 The air quality compliance modeling
4 demonstration process is an iterative multi-phase
5 process. And what the Clean Air Act requires is
6 that an applicant for a new facility demonstrate
7 that the proposed action, whether it's a new
8 facility or a modification, does not -- taken into
9 consideration existing air quality levels,
10 contributions from other sources in the area, plus
11 the proposed source, all added together, will not
12 cause or significantly contribute to a violation
13 of one of the National Ambient Air Quality
14 Standards.

15 So one of the first steps in the
16 modeling is to model the proposed source by
17 itself. And using the metric of the highest
18 predicted concentration over the five years of
19 meteorological data that would apply to the model,
20 compare those results to something called a
21 Significant Impact Level.

22 A Significant Impact Level is not a
23 health-based standard. It has no bearing
24 whatsoever to any health criteria. It is a
25 screening level below which a facility would be

1 deemed to not significantly contribute if there
2 were a violation. So what that first piece of
3 analysis does is it determines for which
4 pollutants, which averaging periods, and over what
5 geographic area do we have to look at other
6 contributing sources in that cumulative impact
7 assessment.

8 So if the predicted concentration is
9 below that Significant Impact Level, it is deemed
10 to have screened out of any further analysis. So
11 if in the case here for, say, the annual sulfur
12 dioxide standard the predicted concentration is
13 well below that significant impact level, so
14 compliance with the Ambient Air Quality Standard
15 is assured. There's no reason to do any further
16 analysis.

17 The Significant Impact Level analysis
18 then determines the radius within which certain
19 sources have to be included in that cumulative
20 impact analysis. So it will take something called
21 the Significant Impact Area, which takes the
22 receptor that the model predicts concentrations at
23 that is furthest away from the stack and draw that
24 size circle around the stack. And that doesn't
25 mean that all of the area within that circle has

1 pretty good concentrations above that Significant
2 Impact Level. In fact, there are usually just a
3 few receptors here and there. But it draws that
4 circle, and it says basically that any facility
5 that would be above any stack that had actual
6 emissions above 15 tons per year that falls within
7 that circle needs to be included in our inventory
8 of other sources that we do the cumulative impact
9 analysis for.

10 From within 20 kilometers of the source
11 we'd be looking at stacks with emissions greater
12 than 50 tons per year would be deemed significant
13 enough to be included in the modeling. And then
14 between 20 kilometers and 50 kilometers of the
15 stack you would have to look at all stacks that
16 had actual emissions greater than 500 tons per
17 year. So it's kind of a screening process that
18 you then look at every stack in those radiuses and
19 determine which facilities need to be included in
20 the cumulative impact analysis.

21 The Significant Impact Analysis at
22 first also determines which receptors that you
23 have to include, so which points in space does the
24 project have the potential to exceed that
25 Significant Impact Level. And those receptors and

1 those other sources are all then modeled together
2 in a cumulative analysis adding in conservative
3 background and then comparing that sum total to
4 the health-based National Ambient Air Quality
5 Standards.

6 MR. HANNON: Thank you. I just had a
7 couple of other really quick questions. In the
8 appeal of and responses to Municipal Regulate and
9 Restrict Orders on page 15 under Question 4, you
10 talk about notifying the fire marshal, the town
11 manager and other appropriate town staff if there
12 is any type of spill. Is there a specific reason
13 why you eliminated DEEP?

14 THE WITNESS (Gresock): Only because
15 this was written to the town. Of course, we will
16 notify DEEP.

17 MR. HANNON: Just checking.

18 The last one. This is on the response
19 of NTE Connecticut to Council Question 61 on page
20 31. You talk about the generator step-up
21 transformers will have concrete containment
22 structures to capture any spills or leaks. Is
23 there any discussion about coating that concrete
24 with epoxy or any type of material so that it
25 doesn't leak through?

1 THE WITNESS (Walsh): Could you repeat
2 the question, please?

3 MR. HANNON: Sure. The question was
4 would both generator step-up transformers have
5 containment measures in the event of any leaks of
6 dielectric fluid. And the answer was, yes, both
7 generator step-up transformers will have concrete
8 containment structures to capture any leaks or
9 spills.

10 My question is, has there been any
11 thought to coating that concrete with some type of
12 epoxy material so that it doesn't leach through
13 the concrete?

14 THE WITNESS (Walsh): In the course of
15 the typical project development, each instance
16 where any containment is will be evaluated on an
17 individual basis, but off the top of my head, no,
18 I don't believe we've considered that at this
19 stage; but if it is required, it will be deployed.

20 MR. HANNON: Just a suggestion you
21 might want to consider.

22 THE WITNESS (Walsh): Yes.

23 MR. HANNON: I think I'm done for
24 today.

25 THE CHAIRMAN: Okay. I think we're

1 done too.

2 THE CHAIRMAN: The Council announces
3 that it will continue the evidentiary session. We
4 still have a couple more questions from the
5 Council members, and then we'll continue the
6 cross-examination with the other parties. So the
7 continuation will be held at this office at Ten
8 Franklin Square in New Britain on Tuesday,
9 November 15, 2016 at 11 a.m. in the same hearing
10 room one.

11 Please note that anyone who has not
12 become a party or intervenor, but who desires to
13 make his or her views known to the Council, may
14 file written statements with the Council until the
15 record closes.

16 Again, copies of the transcript of the
17 hearing will be filed at the Killingly, Putnam and
18 Pomfret Town Clerk's offices.

19 I hereby declare this portion of the
20 hearing adjourned. Thank you for your
21 participation. Drive home safely.

22 (Whereupon, the witnesses were excused,
23 and the above proceedings were adjourned at 4
24 p.m.)

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

I hereby certify that the foregoing 203 pages are a complete and accurate computer-aided transcription of my original stenotype notes taken of the Council Meeting in Re: DOCKET NO. 470, APPLICATION OF NTE CONNECTICUT, LLC FOR A CERTIFICATE OF ENVIRONMENTAL COMPATIBILITY AND PUBLIC NEED FOR THE CONSTRUCTION, MAINTENANCE AND OPERATION OF A 550-MEGAWATT DUAL-FUEL COMBINED CYCLE ELECTRIC GENERATING FACILITY AND ASSOCIATED ELECTRICAL INTERCONNECTION SWITCHYARD LOCATED AT 180 AND 189 LAKE ROAD, KILLINGLY, CONNECTICUT, which was held before ROBERT STEIN, Chairman, at Ten Franklin Square, New Britain, Connecticut, on November 3, 2016.

 _____

Lisa L. Warner, L.S.R., 061
Court Reporter

1 I N D E X

2	WITNESSES MARK MIRABITO	PAGE 169
3	TIM EVES	
4	MICHAEL BRADLEY	
5	CHRIS REGA	
6	LYNN GRESOCK	
7	FREDERICK SELLARS	
8	NORM THIBEAULT	
9	GEORGE LOGAN	
10	ETHAN PATERNO	
11	MASON SMITH	
12	SCOTT HESKETH	
13	GARY FUERSTENBERG	
14	JAMES WALSH	
15	KEVIN FOWLER	
16	EXAMINERS:	
17	Mr. Baldwin	
18	Mr. Perrone	
19	Mr. Silvestri	
20	Dr. Klemens	
21	Mr. Harder	
22	Mr. Levesque	
23	Senator Murphy	
24	Mr. Ashton	
25	Mr. Hannon	

1 I n d e x: (Cont'd)

2

3 APPLICANT'S EXHIBITS

4 (Received in evidence)

5 EXHIBIT DESCRIPTION PAGE

6 II-B-1 Application for a Certificate 178

7 of Environmental Compatibility

8 and Public Need filed by NTE

9 Connecticut, LLC, received

10 August 17, 2016, and attachments

11 and bulk file exhibits including:

12 Bulk file exhibits:

13 a. Technical report, dated

14 May 3, 2016

15 b. Town of Killingly zoning

16 regulations

17 c. Town of Killingly Plan of

18 Conservation and Development

19 d. Town of Killingly Inland

20 Wetlands and Watercourses

21 Regulations

22

23

24

25

	PAGE
1 I n d e x: (Cont'd)	
2	
3 II-B-2 NTE's affidavit of publication,	178
4 dated August 24, 2016	
5 II-B-3 NTE's redacted option agreement,	178
6 dated August 25, 2016	
7 II-B-4 NTE's option agreement	178
8 (subject to protective order,	
9 dated September 15, 2016), dated	
10 August 29, 2016	
11 II-B-5 NTE's notification pursuant to	178
12 CGS Section 16-50(e) pre-application	
13 municipal consultation, dated	
14 September 1, 2016	
15 II-B-6 NTE's Environmental Justice Plan	178
16 submission and DEEP approval, dated	
17 September 28, 2016	
18 II-B-7 NTE's responses to Council	178
19 interrogatories, Set I, dated	
20 October 7, 2016	
21 II-B-8 NTE's response to Council	178
22 interrogatory #68, dated October	
23 13, 2016	
24	
25	

		PAGE
1	I n d e x: (Cont'd)	
2		
3	II-B-9 NTE's proposed site walk plan,	178
4	dated October 13, 2016	
5	II-B-10 NTE's updated Attachment 7 to the	178
6	notification pursuant to CGS 16-50(e),	
7	pre-application municipal consultation,	
8	dated October 13, 2016	
9	II-B-11 NTE's sign posting affidavit,	178
10	dated October 13, 2016	
11	II-B-12 NTE's PowerPoint presentation	178
12	from the October 20, 2016 public comment	
13	session, dated October 24, 2016	
14	II-B-13 NTE's witness resumes, received	178
15	October 27, 2016 (A through N)	
16	II-B-14 NTE's responses to Council	178
17	interrogatories, Set II, dated	
18	October 27, 2016	
19	II-B-15 NTE's appeal of and responses to	178
20	the Municipal Regulate and Restrict	
21	Orders, dated October 27, 2016	
22	II-B-16 NTE's redacted responses to	178
23	NAPP's interrogatories, dated	
24	October 27, 2016	
25		

1 I n d e x: (Cont'd)

2		PAGE
3	II-B-17 NTE's motion for protective order	178
4	regarding responses 1,3,4,5,8,10 and 11	
5	to NAPP's interrogatories, protective	
6	order, non-disclosure agreement,	
7	affidavit of Mark Mirabito and affidavit	
8	of Ethan Paterno, dated October 27, 2016	
9	II-B-18 Memo from Tetra Tech to DEEP,	178
10	James Grillo, regarding update to air	
11	dispersion modeling results, dated	
12	November 2, 2016	

13

14

15

16

17

18

19

20

21

22

23

24

25